

241110400

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMONWEALTH OF VIRGINIA, EX REL.
STATE CORPORATION COMMISSION
CASE NO. PUR-2024-00134

EX PARTE:



ORIGINAL

In the matter of establishing
energy efficiency savings
targets for Appalachian Power
Company pursuant to
Code Section 56-596.2 B 3

TRANSCRIPT OF PROCEEDINGS BEFORE
THE HONORABLE D. MATHIAS ROUSSY, JR.,
CHIEF HEARING EXAMINER
Monday, November 4, 2024
10:00 a.m. to 4:20 p.m.

NOV 11 10 13 AM '24
STATE CORPORATION COMMISSION
OFFICE OF THE CHIEF HEARING EXAMINER
1000 COMMONWEALTH AVENUE
ALEXANDRIA, VA 22304-4100
TEL: 703-296-1000
FAX: 703-296-1001
WWW.VIRGINIA.GOV

Job No: 555731
Pages: 1 -242
Reported By: Scott D. Gregg, RPR

1 A P P E A R A N C E S
2 Honorable D. Mathias Roussy, Jr., Chief
3 Hearing Examiner
4
5 Kiva Bland Pierce, Esquire,
6 Mary Beth Adams, Esquire,
7 and
8 Michael Zielinski, Esquire,
9 Counsel to the Commission
10
11 Andrew Flavin, Esquire,
12 and
13 Viktoriia De Las Casas, Esquire,
14 Counsel to the Applicant
15
16 Cale A. Jaffe, Esquire,
17 Counsel to Virginia Energy
18 Efficiency Council ("VEEC")
19
20 Nathaniel Benforado, Esquire,
21 and
22 Emma Clancy, Esquire,
23 Counsel to Appalachian
24 Voices
25 ////

1 A P P E A R A N C E S C O N T I N U E D

2

3 Carew S. Bartley, Esquire,
4 Counsel to Office of
5 the Attorney General,
6 Division of Consumer Counsel

7

8 Evan Johns, Esquire,

9 and

10 Claire Horan, Esquire,
11 Counsel to Sierra Club

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X

1		
2		
3	PUBLIC WITNESSES:	Page
4	Savannah Wilson	9
5		
6	COMPANY WITNESS:	
7	T. Stafford	
8	Direct Examination by Mr. Flavin.....	47
9		
10	APPALACHIAN WITNESS:	
11	J. Grevatt	
12	Direct Examination by Mr. Benforado.....	61
13	Cross-Examination by Mr. Jaffe.....	75
14	By Mr. Flavin.....	85
15	Redirect Examination by Mr. Benforado.....	95
16		
17	SIERRA CLUB WITNESS:	
18	R. Colton	
19	Direct Examination by Ms. Horan.....	100
20	Cross-Examination by Ms. De Las Casas.....	124
21		
22	STAFF WITNESS:	
23	O. Collier	
24	Direct Examination by Mr. Zielinski.....	135
25	Cross-Examination by Mr. Jaffe.....	140

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X C O N T I N U E D

COMPANY WITNESSES:	Page
D. Diebel (Reb.)	
Direct Examination by Mr. Flavin.....	154
Cross-Examination by Mr. Johns.....	158
By Mr. Zielinski.....	161
T. Stafford (Reb.)	
Direct Examination by Mr. Flavin.....	164
Cross-Examination by Mr. Jaffe.....	174
By Ms. Clancy.....	183
By Mr. Johns.....	192
By Mr. Zielinski.....	203
Redirect Examination by Mr. Flavin.....	209

1	E X H I B I T S		
2	No.	Marked for ID	Rec'd
3	1	45	45
4	2	46	46
5	3	47	47
6	4	56	56
7	5	59	59
8	6	59	59
9	7	63	63
10	8	65	66
11	9	68	75
12	10	97	97
13	11	104	104
14	12	114	114
15	13	119	119
16	14	136	136
17	15	155	155
18	16	166	166
19			
20			
21			
22			
23			
24			
25			

1 P R O C E E D I N G S

2 THE BAILIFF: Today's docket consists of
3 Case No. PUR-2024-00134, Ex parte: In the Matter
4 of Establishing Energy Efficiency Savings Targets
5 for Appalachian Power Company, pursuant to Code
6 Section 56-596.2 B 3.

7 The Honorable D. Mathias Roussy, Jr.,
8 chief hearing examiner presiding.

9 THE HEARING EXAMINER: Good morning. The
10 Commission's July 26th order in this case
11 established today for a hearing to receive the
12 evidence from the case participants as well as any
13 public witnesses.

14 Let's have the counsel please introduce
15 themselves starting with Appalachian Power.

16 MR. FLAVIN: Good morning, Your Honor.
17 Andy Flavin and Viktoriia De Las Casas with
18 Troutman Pepper on behalf of Appalachian Power
19 Company.

20 THE HEARING EXAMINER: Good morning.

21 MR. JAFFE: Good morning, Your Honor.
22 Cale Jaffe at the University of Virginia School of
23 Law, representing the Virginia Energy Efficiency
24 Council.

25 With me here today is Veronica Merrill,

Transcript of Hearing
Conducted on November 4, 2024

8

241110100

1 who is a 2L, so not yet admitted on third year
2 practice certificate but a student in the
3 environmental law clinic.

4 THE HEARING EXAMINER: Welcome to you
5 both.

6 MS. CLANCY: Good morning, Your Honor.
7 Emma Clancy, of the Southern Environmental Law
8 Center, representing Appalachian Voices. And with
9 me here today is my colleague, Nate Benforado.

10 THE HEARING EXAMINER: Good morning.

11 MR. JOHNS: Good morning, Your Honor.
12 Evan Johns, with Appalachian Mountain Advocates,
13 here with Claire Horan as well from the same firm,
14 here for Sierra Club.

15 THE HEARING EXAMINER: Well, deja vu.

16 MR. JOHNS: Yes.

17 MR. BARTLEY: Good morning, Your Honor.
18 Carew Bartley. I'm here with the Office of the
19 Attorney General's Division of Consumer Counsel.

20 THE HEARING EXAMINER: Good morning.

21 MS. PIERCE: Good morning, Your Honor.
22 Kiva Bland Pierce, along with Mary Beth Adams and
23 Michael Zielinski, on behalf of the Commission
24 Staff.

25 THE HEARING EXAMINER: All right. Good

Transcript of Hearing
Conducted on November 4, 2024

9

241110100

1 morning.

2 And we do have two public witnesses who
3 have signed up to testify, so we're going to try
4 and reach them right now by telephone.

5 Ms. Starkey, whenever you're ready.

6 MS. STARKEY: Yes, Your Honor. Our two
7 witnesses are Savannah Wilson and Carmen Bingham.
8 I'll start with Savannah Wilson.

9 Dialing the witness now.

10 MS. WILSON: Hello.

11 MS. STARKEY: Hello. Is this Savannah
12 Wilson?

13 MS. WILSON: Yes.

14 MS. STARKEY: Hi. This is the State
15 Corporation Commission. We're calling to receive
16 your public witness testimony in
17 Case No. PUR-2024-00134, Energy Efficiency Savings
18 Targets for Appalachian Power.

19 MS. WILSON: Amazing.

20 MS. STARKEY: Are you ready to give us
21 your testimony, ma'am?

22 MS. WILSON: I am, yes.

23 MS. STARKEY: Wonderful. Let's have the
24 bailiff swear you in.

25 SAVANNAH WILSON, called as a public

1 witness, having been first duly sworn, was
2 examined and testified as follows:

3 THE HEARING EXAMINER: Good morning,
4 Ms. Wilson. This is the Hearing Examiner. If you
5 could please start your testimony by providing
6 your name and address for the record. And if
7 you're with an organization, identify that as
8 well.

9 And then once you have completed your
10 testimony, if you could stay on the line, we may
11 have some questions from the attorneys or myself.

12 THE WITNESS: Okay. Sounds good.

13 My name is Savannah Wilson. I'm with
14 Clean Virginia. And my office address for that is
15 213 7th Street, Northeast, Charlottesville,
16 Virginia 22902.

17 THE HEARING EXAMINER: All right. We're
18 ready for your testimony.

19 THE WITNESS: Wonderful. Good morning.
20 As I just said, my name is Savannah Wilson, and
21 I'm a policy analyst at Clean Virginia. We are an
22 organization focused on advocating for utility
23 ratepayers throughout the Commonwealth.

24 My comments express concerns around the
25 unjustifiably low energy-efficiency targets that

1 Appalachian Power Company has proposed and the
2 impacts should these low targets be accepted.
3 Because of the incentive mechanism established in
4 law, if the Commission approves unreasonably low
5 targets, the utility will earn a bonus profit for
6 savings that could have been achieved or exceeded,
7 even under business-as-usual operations.

8 If these low targets are accepted, APCo's
9 customers would be unduly forced to compensate the
10 utilities for low savings that require little
11 effort and deliver fewer benefits to them.

12 According to the 2020 Virginia Clean
13 Economy Act, which established APCo's 2022 to 2025
14 savings targets and paved the way for the current
15 2026 to 2028 targets case, if the State
16 Corporation Commission determines that the utility
17 has met its savings targets for a given year, they
18 must award the company a margin on its
19 energy-efficiency program operating expenses for
20 that year to be collected from ratepayers.

21 For each additional .1 percent of energy
22 savings that the utility achieves beyond its
23 targets, it must receive an extra 20 basis points
24 of profit, also collected from ratepayers. The
25 purpose of the incentive mechanism is to

241110199

1 incentivize the utility to achieve higher savings
2 than it otherwise would to motivate it through
3 savings to reflect more than just
4 business-as-usual operations.

5 When the energy-efficiency targets
6 established for the utility are reasonable, this
7 incentive mechanism makes sense. Such
8 energy-efficiency savings can offer significant
9 benefits to ratepayers. For example, one study
10 found that energy-efficiency upgrades could save
11 the average Virginia household hundreds of dollars
12 a year on utility bills. If the utility goes
13 above and beyond in delivering these sorts of
14 savings benefits to its ratepayers, it makes sense
15 for it to be rewarded.

16 But if APCo's targets are not ambitious,
17 then the result is unfair to ratepayers. The
18 performance mechanism is meant to incentivize
19 above and beyond energy savings performance. If
20 it is instead given for beating low and
21 unambitious targets --

22 THE COURT REPORTER: Judge, could she slow
23 down?

24 THE HEARING EXAMINER: Ms. Wilson --

25 THE WITNESS: Yes.

Transcript of Hearing
Conducted on November 4, 2024

13

241110100

1 THE HEARING EXAMINER: -- I'm sorry to
2 interrupt. The court reporter has asked if you
3 could just slow down a touch.

4 THE WITNESS: I'm so sorry. I always
5 speak really quickly.

6 THE HEARING EXAMINER: Sure.

7 THE WITNESS: Okay. I'll just start the
8 beginning of that sentence again.

9 If APCo's targets are not ambitious, then
10 the result is unfair to ratepayers. The
11 performance mechanism is meant to incentivize
12 above and beyond energy savings performance. If
13 it is instead given for beating low, unambitious
14 targets, ratepayers will be forced to reward the
15 utility for performance that offers up these
16 benefits.

17 Appalachian Power Company has proposed
18 unambitious 2026 to 2028 targets in this case. In
19 its filing, the utility claims that its proposed
20 two percent gross savings, or 1.6 percent net
21 savings target, would represent at maintaining its
22 2025 savings levels over the subsequent three
23 years. But this assertion is false.

24 First, now that the Commission has clearly
25 established that net savings are the appropriate

1 metric for measuring savings, APCo's proposed 2026
2 to 2028 net savings targets of 1.6 percent are
3 clearly well below its 2025 savings target of two
4 percent.

5 Furthermore, APCo's already demonstrated
6 that it is likely to and be amply capable of not
7 only meeting its two percent 2025 target but well
8 exceeding it.

9 According to prefiled Staff testimony in
10 this case, the Company's forecast that it could
11 achieve 2025 total net energy savings of between
12 2.87 percent and 3.56 percent, this range is about
13 two times higher than APCo's proposed 2026 to 2028
14 savings target of 1.6 percent.

15 The Company's current and projected
16 savings achievements prove that it is capable of
17 achieving high energy-efficiency savings and
18 delivering significant benefits to its ratepayers
19 which if the Commission accepts the low
20 1.6 percent target that the utility is proposing
21 instead, APCo customers will be forced to pay a
22 performance incentive to the utility for achieving
23 far below its potential and for decreasing its
24 2026 to 2028 savings significantly from what it is
25 set to achieve by 2025.

241110100

1 APCo's ratepayers should not be forced to
2 reward it for lowering its savings and decreasing
3 benefits to them, especially when the Company has
4 shown it is capable of delivering more.

5 APCo's ratepayers are already facing
6 rising electric bills. If they are going to pay a
7 performance incentive to the utility out of their
8 pocket, this compensation should reflect real
9 effort on the part of the utility to deliver
10 significant savings to them at an increase rather
11 than a drop in energy-efficiency savings.

12 To require APCo's customers to compensate
13 the utility for savings declined would be both
14 unjust and unaligned with the purpose of the
15 profit incentive.

16 Thank you.

17 THE HEARING EXAMINER: Thank you.

18 Do any of the attorneys have questions for
19 Ms. Wilson?

20 Hearing none, thank you for your testimony
21 this morning, ma'am.

22 Ms. Wilson?

23 Did she hang up?

24 MS. STARKEY: I'm sorry. I think she's
25 disconnected.

Transcript of Hearing
Conducted on November 4, 2024

16

241110100

1 THE HEARING EXAMINER: Oh, no, that's
2 fine. She had completed her testimony, so...

3 MS. STARKEY: Okay. Your Honor, our next
4 witness is Carmen Bingham, and I will dial the
5 witness now.

6 I'll try that again.

7 UNIDENTIFIED SPEAKER: Hello?

8 MS. STARKEY: Hello. Is this Carmen
9 Bingham?

10 UNIDENTIFIED SPEAKER: Excuse me?

11 MS. STARKEY: Is this Carmen Bingham?

12 UNIDENTIFIED SPEAKER: No. Wrong number.

13 MS. STARKEY: I apologize. Thank you.

14 THE HEARING EXAMINER: All right. Let
15 me...

16 (There was a pause in the proceedings.)

17 UNIDENTIFIED SPEAKER: Hello?

18 MS. STARKEY: Is this Carmen Bingham?

19 UNIDENTIFIED SPEAKER: This is not Carmen.

20 MS. STARKEY: Okay. I apologize. Thank
21 you.

22 UNIDENTIFIED SPEAKER: Okay.

23 THE HEARING EXAMINER: All right. So
24 we're going to take a slight break. Ms. Bingham
25 was a -- provided testimony last month in our

Transcript of Hearing
Conducted on November 4, 2024

17

241110100

1 hearing, so we're going to look up the phone
2 number she gave us last month.

3 Ms. Bingham, if you're listening, we're
4 going to try and reach you.

5 So we'll take just a quick break.

6 (A recess was taken.)

7 THE HEARING EXAMINER: All right.

8 MS. STARKEY: I can try one more time if
9 you'd like, Your Honor.

10 THE HEARING EXAMINER: Yeah, let's try one
11 more time.

12 MS. STARKEY: Okay. Dialing now.

13 Your Honor, would you like me to try and
14 connect with her off the record and come back?

15 THE HEARING EXAMINER: Yeah, I'm just
16 trying to find her sign-up sheet from the last
17 case.

18 Okay. I've got it. Okay. Yeah, it's
19 different. It's the same as the first one you had
20 but a seven on the end?

21 MS. STARKEY: That's right.

22 THE HEARING EXAMINER: You've already
23 tried that?

24 MS. STARKEY: Yes, sir.

25 THE HEARING EXAMINER: All right. Well,

1 we've done all we can do on that.

2 All right. Let's go ahead and -- I do
3 plan to follow the order of presentation.

4 Thank you for your help, Ms. Starkey.

5 I do plan to follow the order of
6 presentation that was circulated by the Office of
7 General Counsel -- anticipates beginning with the
8 introduction -- go ahead, Ms. Adams.

9 MS. ADAMS: I just wanted to, as a
10 preliminary matter, let you know that I believe
11 counsel has spoken today amongst ourselves, and
12 it's become apparent that nobody has any questions
13 for any of the witnesses on APCo's direct case.

14 THE HEARING EXAMINER: Okay.

15 MS. ADAMS: So just wanted to update the
16 order of presentation that we circulated.

17 THE HEARING EXAMINER: Yeah, I just have
18 one or two, so thank you for the update. That
19 wouldn't take long, but I appreciate that.

20 So we'll start with opening statements,
21 then we'll receive evidence into the record, and
22 we will conclude with closing arguments. So we'll
23 wrap everything up while we're all here today.

24 Appalachian Power -- unless there's a
25 preliminary matter, another one to take up?

1 Going once?

2 Going twice?

3 Okay. Appalachian Power.

4 MR. FLAVIN: Your Honor, may I use the
5 podium, please?

6 THE HEARING EXAMINER: Wherever you're
7 most comfortable, sir.

8 MR. FLAVIN: Thank you.

9 Good morning, Your Honor. And may it
10 please the Commission. Again, I'm Andy Flavin
11 with the law firm Troutman Pepper on behalf of
12 Appalachian Power Company, who I'll refer to
13 either as "APCo" or "the Company."

14 The purpose of this case is to determine
15 APCo's energy-efficiency savings targets for the
16 years 2026 through 2028. The Commission issued
17 its order establishing this proceeding on
18 January 5th, 2024.

19 And after some changes to the procedural
20 schedule, APCo filed its petition for approval of
21 energy-efficiency savings targets on June 12,
22 2024. And you may hear me refer to that as "the
23 prefiled report."

24 Code Section 56-592 B 3 requires the
25 Commission to establish energy-efficiency savings

1 targets for APCo for the years 2026 through 2028.
2 Importantly, Section B 3 of Section 56-592 was
3 amended during the 2024 General Assembly session
4 with those amendments becoming effective on
5 July 1st, 2024, obviously, after the Commission
6 initiated this proceeding and after the Company
7 filed its petition or prefiled report.

8 In relevant part, that amendment moved
9 language directing the Commission to consider the
10 feasibility of energy-efficiency goals in future
11 energy-efficiency savings through cost-effective
12 programs and measures from Section B 3 to a new
13 Section, B.4, the latter of which is specific to
14 energy-efficiency savings targets for the years
15 2029 through 2031. So that might create a
16 question as to which version of Section B 3
17 applies here.

18 And the Company believes that the Supreme
19 Court of Virginia has already answered this
20 question. In Appalachian Power Company vs. State
21 Corporation Commission, which is 301 Va. 257, and
22 that was a 2022 case, the Court considered the
23 effect of an amendment on APCo's triennial review
24 application that became effective shortly after
25 the Company filed that application.

1 The Court confirmed that when a statute is
2 amended while an action is pending, the rights of
3 the parties are to be decided in accordance with
4 the law in effect when the action was begun unless
5 the amended statute shows a clear intention to
6 vary such rights.

7 And the Court further explained that it
8 has long been the law of the Commonwealth that the
9 retroactive application of statutes is disfavored
10 and that statutes are meant to be construed to
11 operate prospectively only unless contrary
12 intention is manifest and plain.

13 In the Company's view, the amendment to
14 Subsection B 3 contains no such manifest and plain
15 expression of a contrary intent, and the Company
16 respectfully submits that the Commission should
17 consider both the feasibility and
18 cost-effectiveness of the savings targets set for
19 2026 through 2028.

20 But even if the Commission disagrees with
21 the Company's analysis there, there is nothing
22 explicitly directing the Commission not to
23 consider feasibility and cost-effectiveness. And
24 ultimately, because the costs the Company will
25 incur to comply with the 2026 or 2028 savings

1 targets will ultimately be recovered from
2 ratepayers, the Company believes that the
3 Commission can and should consider the targets'
4 feasibility and cost-effectiveness.

5 In its prefiled report or petition, the
6 Company proposed energy-efficiency savings targets
7 for 2026 through 2028 at 2.0 percent per year and
8 a gross savings or 1.6 percent if measured on a
9 net basis. This brings us to another important
10 timing issue that came up during the pendency of
11 this case.

12 The Company filed this -- its prefiled
13 report while its petition concerning the continued
14 implementation of its Energy Efficiency Rate
15 Adjustment Clause, or EE-RAC, to recover the costs
16 of its portfolio of energy-efficiency programs and
17 to request the implementation of two new programs
18 and also to continue and enhance several existing
19 programs.

20 And that case is PUR-2023-00169.

21 And in the final order issued on July 26,
22 2024, the Commission determined that net savings,
23 which removes free ridership from total gross
24 savings is the appropriate measurement of the
25 total annual energy savings targets required by

1 56-596.2.

2 And the Company acknowledges Staff's
3 concern that if the Company's 1.6 percent target
4 were approved, it would represent a decrease from
5 the 2.0 percent target applicable to 2025.

6 As explained in the Company's rebuttal
7 testimony, should the Commission choose to adopt
8 one of the six options presented by Staff Witness
9 Collier, the Company recommends selecting Option
10 A1, which would include targets of 2.25 percent in
11 2026, 2.5 percent in 2027, and 2.75 percent in
12 2028.

13 And regardless of the targets ultimately
14 adopted by the Commission, the Company urges
15 caution due to the uncertainty caused by several
16 different factors discussed in the Company's
17 prefiled report and supported by Company Witnesses
18 Stafford and Diebel and in its rebuttal testimony.

19 For example, minimum energy-efficiency
20 standards for clients are constantly changing,
21 reducing the electricity savings that the Company
22 can cost-effectively achieve.

23 In addition, the Company is still
24 uncertain regarding the impacts of the federal
25 bipartisan infrastructure law and Inflation

1 Reduction Act on the Company's ability to achieve
2 cost-effective electricity savings.

3 Additionally, pursuant to Chapters 794 and
4 818 of the 2024 Acts of Assembly, the Commission
5 must, by September 30th, 2025, promulgate
6 regulations establishing a single, consistent
7 cost-effectiveness test for use in evaluating
8 proposed energy-efficiency programs.

9 The Commission initiated this proceeding
10 on July 17th, 2024, in Case No. PUR-2024-00120,
11 and multiple stakeholder meetings remain on the
12 calendar before the independent monitor will
13 provide a summary of these stakeholder meetings to
14 Staff, which Staff will then use to inform its
15 proposed regulations.

16 Switching to a new single
17 cost-effectiveness test rather than the current
18 existing three out of four framework may mean
19 programs that are currently considered
20 cost-effective will no longer qualify, and it may
21 mean that new programs can qualify.

22 The Company believes that this uncertainty
23 warrants caution moving forward in setting the
24 targets for the 2026 to 2028 period.

25 You also may hear today that APCo is on

1 track to meet and even exceed its 2024 and 2025
2 savings targets. And while true, the Company
3 notes that its performance relative to 2024 and
4 2025 are simply maximum targets based on the
5 currently approved program budgets.

6 So in order to hit some of the numbers
7 that you may hear referenced today, that assumes
8 that everything goes perfectly in these programs
9 when we're talking about the prospective
10 performance in 2024 and 2025.

11 And that leads me to my last point. Any
12 incremental savings beyond what the Company
13 currently expects to achieve will cost more money.
14 We understand that the parties and Staff may not
15 agree on exactly what those numbers are, but we're
16 talking about potentially tens of millions of
17 dollars per year on top of the Company's current
18 budgets to maintain its existing savings levels.

19 As you'll hear from the Company's
20 witnesses, costs to meet increasingly higher
21 targets are not linear. In other words, as
22 savings targets increase, the same dollar may not
23 deliver the same amount of savings. There are, in
24 effect, diminishing returns.

25 Ultimately, because this money will be

1 recovered from customers, the Company urges
2 caution in setting targets for the 2026 to 2028
3 period.

4 And with that, Your Honor, thank you very
5 much.

6 THE HEARING EXAMINER: Thank you.

7 MR. JAFFE: Good morning, Your Honor. May
8 it please the Commission, Cale Jaffe, on behalf of
9 the Virginia Energy Efficiency Council.

10 The Energy Efficiency Council, as a
11 501(c)(3) charitable organization, provides a
12 platform for stakeholder engagement while
13 assessing and supporting cost-effective efficiency
14 programs, best practices in the efficiency
15 industry, and sound policies for advancing energy
16 efficiency here in Virginia.

17 I should note that the Company in this
18 case has -- is a member of the Energy Efficiency
19 Council but has not been involved at all, as I
20 think will become apparent, in developing the
21 Efficiency Council's position in this docket.
22 I've had no ex parte communication with them on
23 that at all.

24 The Efficiency Council does have over a
25 hundred members that include energy-efficiency

1 businesses, universities, nonprofits, local
2 governments, and electric utilities, and the
3 Efficiency Council has participated in at least
4 ten dockets before this Commission, including
5 those initiated by Appalachian Power, efficiency
6 dockets initiated by Dominion Energy, and dockets
7 brought forth by order of the Commission directly.

8 In this case, the Virginia Energy
9 Efficiency Council will present the testimony of
10 Chelsea Harnish. She is the executive director of
11 the Virginia Energy Efficiency Council. And her
12 testimony discusses the great potential for
13 additional energy-efficiency savings in Virginia,
14 and she recommends setting more ambitious targets
15 than what the Company has proposed in this case
16 and more ambitious targets than at least the Staff
17 Scenario A1, the most conservative scenario.

18 And the reason why the Efficiency Council
19 is advocating for more ambitious targets than the
20 A1 scenario is because the starting point for A1
21 at 2.75 is actually below what the Company is
22 anticipated to achieve, 2.87 percent savings by
23 2025.

24 So just like with the Company's proposals,
25 the Staff Scenario A1 proposal would be a

1 retrenchment going back to where the Company --
2 from where the Company has already achieved.

3 So the -- the point that I want to
4 emphasize that of Ms. Harnish's prefiled
5 testimony, which will become apparent once that's
6 moved into the record, is her focus on the great
7 potential for efficiency savings in Virginia.

8 She knows that there's more that can be
9 done to expand the pool of eligible customers,
10 there's more that can be done to improve energy
11 literacy of customers. There's more that can be
12 done when we take a look at documents like the
13 American council for an energy efficiency --
14 American Council for an Energy-Efficient Economy,
15 the ACEEE scorecard from 2023, which she
16 references in her testimony. There's more that
17 can be done based on application of new efficiency
18 tests and she discusses the SAVE Act of 2024 and
19 the National Standard Practice Manual proceeding
20 that is now underway.

21 The point here with Ms. Harnish's
22 testimony is that there is, of course, a great
23 deal of untapped potential for efficiency savings
24 in Virginia. And the purposes -- the purpose of
25 this proceeding, of course, is to consider that

1 potential as we set efficiency targets for
2 calendar years 2026 through 2028, but to set those
3 targets with an eye towards what's coming next
4 beginning in 2029. And I think there's guidance
5 for the Commission to follow in setting all of
6 these targets, not just the 2026 through 2028
7 period but the 2029 period and beyond, that
8 guidance is codified in Virginia Code 56-596.2.

9 And if you read through the entirety of
10 that section of the Code, there are four terms
11 that really stand out. One is the greatest level
12 of savings, greatest level. Number two is
13 feasible, the feasibility of savings. Number
14 three is achievable savings. And number four is
15 cost-effective savings.

16 So cost-effective, achievable, feasible to
17 get to the greatest level of savings achievable as
18 we look out towards 2029 and beyond. And it's
19 vital to look out to 2029 and beyond because the
20 factors influencing targets in that year may be
21 fairly ambitious.

22 And simply put, it doesn't make sense to
23 allow efficiency savings to crater, to fall down
24 during this 2026 to 2028 period only to have to
25 ramp back up very rapidly to hit a 2029 target.

1 It's far more cost-effective, far better for the
2 Company's customers to steadily ramp up smoothly
3 from 2025 where the Company will be through the
4 '26 through 2028 period and then glide right into
5 the targets that will be set in 2029.

6 And this is a point that Ms. Harnish's
7 testimony addresses directly when she talks about
8 the ACEEE report and specifically, the state and
9 local policy database. Her attachment CH-2, I
10 want to call attention to that because there she
11 quotes directly from the database for Virginia --
12 where the ACEEE has noted, quote, that the
13 Virginia Clean Economy Act -- I'm sorry, the quote
14 hasn't started yet -- where the Virginia Clean
15 Economy Act, quote, sets up a process to
16 strengthen the energy-efficiency resource standard
17 after 2025. After that year, the State
18 Corporation Commission will adjust
19 energy-efficiency targets every three years.

20 Strengthening the energy-efficiency
21 resource standard. That was ACEEE's comments and
22 understanding of our statute. That builds on the
23 Company's progress from 2022 right through 2025
24 and it's the most commonsense understanding of the
25 statute and the purpose of this proceeding.

1 The Virginia Energy Efficiency Council is
2 concerned that Appalachian Power's proposed
3 target, just 1.6 percent net savings held static
4 for three years, would represent a pretty dramatic
5 backsliding from the progress that the Company has
6 made and progress the Company should be proud of.

7 It would put the Company in a tougher
8 position when 2029 rolls around and have targets
9 set at the greatest level of energy savings that
10 are achievable, that's why we need to ramp up to
11 that 2029 target, keep that, where we're going, in
12 mind.

13 As the Efficiency Council argued in the
14 Dominion companion case to this proceeding, it's
15 important to consider the statutory goals of the
16 Virginia Clean Economy Act and the SAVE Act, as
17 it's often referred to, of 2024, that tweak the
18 section of the Code and set forth the -- the
19 proceeding to consider the National Standard
20 Practice Manual.

21 And because the Company addressed this I
22 want to touch briefly on the statute and the
23 relevant statute that should apply. The Company,
24 of course, notes case law that says statutes do
25 not apply retroactively absent a clear intention

1 in the text of the statute to make it apply
2 retroactively. I think that that clear intention
3 is here because we have specific calendar years in
4 the statute. The statute prior to the SAVE Act of
5 2024 had a provision that directed how the Company
6 should consider factors from 2026 through 2028.
7 That language has been tweaked and if we don't
8 apply the tweaked language here, then it never
9 applies for the 2026 through 2028 period. I think
10 the use of those specific calendar years is as
11 clear an intention as the General Assembly could
12 possibly provide.

13 And I'll just say one more thing on that,
14 which is, it may as a practical matter frankly not
15 matter a whole lot because, yes, we're supposed to
16 consider under either the revised statute or the
17 old statute what is achievable and what is
18 feasible. And any commonsense understanding of
19 those terms has to take a look at not just where
20 we've been but where we're going, and where we're
21 going, of course, is to the 2029 targets. So we
22 have to set 2026 through 2028 targets with an eye
23 towards what we'll need to do, where we need to
24 ramp up to by 2029.

25 Let me close here by reiterating a

1 comparison, a metaphor that I raised in the
2 Dominion case, which I think is applicable here as
3 well. The question when we look at the Virginia
4 Clean Economy Act of 2020 and the SAVE Act of
5 2024, are these statutes directing the Commission
6 to set targets that are cautious, safely, well
7 within the bounds of what we know the Company has
8 already met in the past, or are these statutes
9 directed -- directing the Commission to set
10 targets that represent the greatest level of
11 efficiency savings that are feasible and
12 cost-effective going forward into the future.

13 To put it another way, do we set targets
14 in sort of an everyone-gets-a-trophy mindset, low
15 enough to guarantee that the Company will meet
16 them? Because they already have by 2025.

17 Or do we set targets that are achievable
18 but will require implementing more of the
19 recommendations that have come through either the
20 Company's E-RAC -- EE-RAC cases or through the
21 Company's stakeholder process or through the
22 language from the statute in the Virginia Clean
23 Economy Act and the SAVE Act?

24 Based on the Virginia Energy Efficiency
25 Council's experience in many efficiency dockets,

1 in many stakeholder proceedings over several
2 years, it's our position that the General Assembly
3 did not adopt an everyone-gets-a-trophy approach.
4 This isn't Little League. These targets are
5 supposed to mean something, and we respectfully
6 encourage the Commission and ask the Commission to
7 adopt more ambitious targets than what the Company
8 has proposed or than what is seen in Staff
9 Scenario A1.

10 Thank you.

11 THE HEARING EXAMINER: Thank you.

12 MS. CLANCY: Good morning. May it please
13 the Commission, once again, Emma Clancy, of the
14 Southern Environmental Law Center, representing
15 Appalachian Voices.

16 Now, this docket could be a great success
17 story, the VCEA set ambitious savings targets but
18 APCo met that challenge. And the Company's
19 efforts have meant that its efficiency savings
20 exceeded the first VCEA target to pass and the
21 Company expects to exceed each of the targets
22 through 2025.

23 It's going to get a bonus for those
24 achievements under the VCEA and it should because
25 its efforts have delivered material benefits to

1 ratepayers. The new and expanded portfolio will
2 help to reduce system costs and it will also
3 provide a means for more customers to access
4 energy efficiency, install it, and receive those
5 bill savings.

6 So this docket could be a success story.
7 Unfortunately, it's not. And that's because the
8 Company appears poised to take its foot off the
9 pedal in a disappointing and dramatic way.

10 Instead of building on the momentum of its
11 recent performance, the Company has proposed
12 spectacularly low and unsupported targets for 2026
13 to 2028. And before we get to how baseless those
14 targets are, I want to take a second to emphasize
15 how low they are.

16 So to begin, the Company's proposal, which
17 would set a flat goal of 1.6 percent net savings
18 from 2026 to 2028 is a step down and backwards
19 from where the VCEA leaves us in 2025 at two
20 percent, a target, which by the way, APCo expects
21 to exceed but with room to spare. And the targets
22 are also so low that APCo could suspend all of its
23 energy-efficiency programs after 2025 and still
24 exceed them, and that's according to its own
25 projections.

1 Now, you'll also hear today from
2 Appalachian Voices' witness, Jim Grevatt, how the
3 Company could also let four key programs expire,
4 reducing savings in 2027 to roughly 1/10th of the
5 new savings in 2026 and it could still exceed its
6 proposed targets.

7 Now, the Company could have requested to
8 extend the budgets for these four programs in its
9 2023 efficiency filing, but it didn't. And it
10 wouldn't have to under its proposal. Targets this
11 low would allow the Company to sit back, let
12 programs expire, not worry about new programs, and
13 still get the bonus under the VCEA.

14 I next want to touch on how unsupported
15 the Company's targets are. The Company's brief
16 application justifies these low savings levels
17 with a claim that it would have to double its
18 budget to achieve an additional A 1 in gross
19 savings or .8 percent in net savings. Now, we
20 don't dispute that it may cost more than the
21 Company's current budget to develop new programs
22 and achieve new net incremental savings. That's
23 why utilities evaluate cost-effectiveness, conduct
24 market potential studies, they do that to identify
25 investments that are net positive to customers in

1 the end.

2 But as Witness Grevatt will explain, the
3 Company's budget concern is based solely on the
4 back-of-the-envelope calculation provided by a
5 contractor not paid for its work. The Company
6 hasn't supported its targets with any market
7 potential study. It's five-page application
8 certainly didn't look at the savings levels of any
9 peer utilities, and, in fact, the Company didn't
10 even look at its own projections.

11 If it had, it would have realized that its
12 own current projections show that the savings are
13 on track to increase .8 percent without the
14 Company having -- Company having to spend a dime
15 over its current budget, much less double its
16 budget.

17 Witness Grevatt's recommendation on the
18 other hand does consider actual data including the
19 Company's recent performance.

20 His targets expect APCo to achieve new net
21 incremental savings at A 1, which is roughly the
22 same rate the Company forecasts for 2025 and 2026.
23 It's actually a little less. And his approach
24 builds on the VCEA's targets. It builds on APCo's
25 achievements, and it preserves the incentive

1 structure under the VCEA, only passing the costs
2 of a bonus to customers if they are receiving new
3 efficiency benefits.

4 And so to conclude, I'll just observe that
5 the story leading up to this docket and of this
6 docket underscores how setting ambitious
7 efficiency targets can actually drive utilities to
8 be more ambitious and achieve more savings. And
9 this benefits customers, and that's why we
10 recommend keeping the targets ambitious and
11 keeping APCo on track.

12 We look forward to developing the record
13 today, and we thank you for your attention in this
14 matter.

15 THE HEARING EXAMINER: Thank you.

16 MS. HORAN: Good morning, Your Honor. And
17 may it please the Commission, my name is Claire
18 Horan, and I'm here with Evan Johns on behalf of
19 Sierra Club.

20 You will hear from several witnesses today
21 that APCo's proposed energy-efficiency targets for
22 2026 through 2028 are indefensible. Indefensible
23 first because APCo's proposed targets are so
24 lacking in ambition. You will hear how the
25 proposed targets for 2026 through 2028 are lower

1 targets than what APCo is currently achieving.
2 The targets are so clearly already within APCo's
3 grasp that it would make little sense to award the
4 Company a bonus for reaching them.

5 Secondly, APCo's targets are indefensible
6 because the Company's process in coming up with
7 the targets was incomplete and based on faulty
8 assumptions.

9 As Sierra Club's witness, Roger Colton
10 will discuss APCo failed to conduct a market
11 potential study for its territory, leaving it
12 without a baseline upon which to determine what it
13 could feasibly and cost-effectively achieve. On
14 top of that, APCo's assumptions run counter to the
15 information that is available, even absent a
16 market potential study.

17 Mr. Colton will discuss several examples
18 of low-hanging fruit for APCo to feasibly reach
19 with residential and especially low-income
20 residential programs.

21 Mr. Colton will also address how the
22 Company's cost-effectiveness analysis includes all
23 costs but asymmetrically excludes many direct
24 program benefits, including benefits to the
25 utility, to consumers, and to society more

1 broadly.

2 Mr. Colton will explain how these flaws in
3 APCo's process ultimately result in indefensible
4 proposed targets that should be rejected.

5 After hearing all of the evidence today,
6 we will ask that you recommend the Commission
7 reject APCo's lackluster targets and either, one,
8 require APCo to resubmit a proposal based on
9 verifiable quantitative analysis of market
10 potential; or two, rely on the record as developed
11 by all of the parties to set feasible,
12 cost-effective, and ambitious targets that will
13 equitably benefit APCo's ratepayers as the General
14 Assembly intended.

15 Thank you.

16 THE HEARING EXAMINER: Thank you.

17 MR. BARTLEY: Good morning, Your Honor.
18 May it please the Commission, Carew Bartley with
19 Consumer Counsel.

20 Over the years, Consumer Counsel has been
21 an active participant in APCo's energy-efficiency
22 EE-RAC proceedings. Consumer Counsel has not
23 conducted its own technical analysis in this case,
24 but we would like to offer some observations.

25 The General Assembly has set out

1 feasibility as a guidepost for the Commission's
2 task in setting the Company's savings targets
3 after 2025. From a ratepayer perspective,
4 infeasibly high targets would likely result in the
5 company overspending from a cost-effectiveness
6 standpoint in an attempt to reach those targets.

7 Under Virginia Code Section 56-585.1
8 A 5 c, whether the Company meets its targets may
9 also bear on the Company's authorization to pursue
10 new fossil fuel resources.

11 That said, it is also possible for the
12 savings targets to be set too low. Section
13 56-585.1 A 5 c also provides for a two-part
14 performance incentive whereby the Company can
15 receive a margin on operating expenses if it
16 achieves its savings targets for a given year; and
17 additional escalating basis point margins for
18 overachieving its targets.

19 In other words, if APCo achieves its
20 energy savings targets, it can recover more from
21 its customers than the cost of service. This
22 extraordinary ratepayer-funded incentive reflects
23 that while feasibility is plainly important to the
24 General Assembly, so, too, is setting targets that
25 will require efficient planning and spending on

1 the Company's part to maximize its savings.

2 In Consumer Counsel's view, the
3 Commission's task in this case is to find a
4 balance between targets which are feasible but
5 challenging. A range of proposals have been
6 presented, some of which may be too easy to
7 achieve and others which may not be feasible.

8 Consumer Counsel is not taking a position
9 on which specific targets might find that balance,
10 but we hope that the hearing today might help
11 crystallize what a happy medium looks like.

12 Thank you.

13 THE HEARING EXAMINER: Thank you.

14 MS. ADAMS: Good morning, Your Honor.

15 THE HEARING EXAMINER: Good morning.

16 MS. ADAMS: May it please the Commission,
17 my name is Mary Beth Adams, and I, along with my
18 cocounsel, Kiva Pierce and Mike Zielinski,
19 represent the Staff of the State Corporation
20 Commission in this proceeding.

21 This docket was initiated to establish new
22 energy-efficient targets for the time period 2026
23 and 2028 for Appalachian Power Company, which I
24 will refer to as "APCo."

25 Pursuant to Code Section 56-596.2 B, the

1 targets are to be measured as a percentage of the
2 average annual energy jurisdictional retail sales
3 by APCo in 2019. And in accordance with the
4 Commission's procedural order in this case, Staff
5 Witness Oliver C. Collier filed testimony on
6 October 7th, 2024.

7 In his testimony, Mr. Collier noted that
8 APCo's proposed 1.6 percent net energy-efficiency
9 savings targets are below its projected savings on
10 a net basis through 2025, and the targets do not
11 increase over the three calendar years.

12 Although the Company hasn't yet reported
13 its savings for calendar year 2023 and the
14 Commission hasn't yet made any findings regarding
15 the Company's energy savings resulting from its
16 programs at this time, Mr. Collier's investigation
17 revealed that for calendar year 2023, the Company
18 may have achieved approximately 2.41 percent in
19 total net energy savings based on the Company's
20 2019 retail sales.

21 Further, Mr. Collier testified that the
22 Company forecasts that it could reach
23 approximately 2.87 percent up to 3.56 percent in
24 total net energy savings by the end of 2025,
25 depending on the number of and the savings

1 attributable to its large general service opt-out
2 customers.

3 Due to the Company's current and projected
4 energy-efficiency achievements, Staff is opposed
5 to the Company's request that the Commission
6 approve its proposed 1.6 net energy-efficiency
7 savings target for the 2026 through 2028 calendar
8 years.

9 Mr. Collier's testimony also includes
10 several alternative savings targets that the
11 Commission may want to consider. But to be clear,
12 Staff takes no position on what constitutes
13 appropriate energy-efficiency savings targets
14 going forward.

15 Staff is not recommending one of the
16 alternative savings over the other. Rather, Staff
17 developed the alternative savings targets because
18 it recognizes that the Commission must weigh
19 various considerations in setting the targets.
20 Accordingly, Staff has presented a range of
21 possible targets that could be responsive to those
22 considerations.

23 And at the appropriate time, Staff will
24 request that Mr. Collier's testimony be admitted
25 into the record.

1 Thank you, Your Honor.

2 THE HEARING EXAMINER: All right. Thank
3 you.

4 Are we ready to open the record?

5 All right. Mr. Flavin.

6 MR. FLAVIN: Thank you, Your Honor.

7 Should we start with the proof of service?

8 THE HEARING EXAMINER: I think there's a
9 couple of them, right?

10 MR. FLAVIN: Yes. So we have the proof of
11 service that was filed August 7th, 2024, in this
12 case.

13 THE HEARING EXAMINER: Okay. I think
14 there was one February 28th -- when the cases were
15 still consolidated as well?

16 MR. FLAVIN: Yes. I apologize, Your
17 Honor. That's correct.

18 THE HEARING EXAMINER: No. I just --
19 definitely not the norm to have two, so, yeah,
20 let's go ahead -- any objection?

21 It will be collectively marked and
22 admitted as Exhibit 1.

23 (Exhibit No. 1 was marked and admitted
24 into evidence.)

25 MR. FLAVIN: Okay. Your Honor, as we

1 heard here, it sounds like the other parties may
2 not have questions; however, we do have
3 Ms. Stafford and Mr. Diebel here. I understand
4 you may have some questions?

5 THE HEARING EXAMINER: Yeah, let's go
6 through your direct, which I guess is just the
7 petition and the identification filing?

8 MR. FLAVIN: Yes.

9 THE HEARING EXAMINER: And then I'll let
10 you know what I have questions about and you can
11 call whoever you think makes the most sense.

12 MR. FLAVIN: Okay. All right.

13 So the -- Your Honor, I guess the
14 petition, the prefiled report filed on June 12th,
15 2024.

16 THE HEARING EXAMINER: Any objection?

17 It's marked and admitted as Exhibit 2.

18 (Exhibit No. 2 was marked and admitted
19 into evidence.)

20 MR. FLAVIN: And then, Your Honor, we also
21 have the filing in lieu of direct testimony, which
22 I believe was submitted on August --

23 THE HEARING EXAMINER: 23rd.

24 MR. FLAVIN: -- 23rd, I think, yes.

25 THE HEARING EXAMINER: All right. Any

1 objection?

2 That will be marked and admitted as
3 Exhibit 3.

4 (Exhibit No. 3 was marked and admitted
5 into evidence.)

6 THE HEARING EXAMINER: So the things I
7 wanted to ask about are the attachment to the
8 petition and then the assumed 80 percent net to
9 gross ratio.

10 MR. FLAVIN: Okay. Your Honor, at this
11 point, can we please call Ms. Stafford to the
12 stand.

13 THE HEARING EXAMINER: All right. Great.

14 TAMMY C. STAFFORD, called as a witness,
15 having been first duly sworn, was examined and
16 testified as follows:

17 DIRECT EXAMINATION

18 BY MR. FLAVIN:

19 Q Good morning, Ms. Stafford.

20 A Good morning.

21 Q Could you, please, give us your name,
22 position of employment, and business address?

23 A Yes. My name is Tammy Stafford. I'm
24 employed by Appalachian Power as an energy
25 efficiency and consumer programs manager. My

1 address is 200 Association Drive, Charleston, West
2 Virginia 25311.

3 Q Thank you.

4 And, Ms. Stafford, are you familiar with
5 the Company's prefiled report or petition that was
6 proposing energy-efficiency savings targets for
7 2026 through 2028, which was filed in public
8 version only in this proceeding on June 12th,
9 2024?

10 A I am.

11 Q Do you wish to adopt and support all
12 portions of the prefiled report as your direct
13 testimony except portions related to evaluation,
14 measurement, and verification methods used by the
15 Company in developing its proposed
16 energy-efficiency targets?

17 A Yes, I do.

18 MR. FLAVIN: Your Honor, I believe it's
19 been admitted, but Ms. Stafford is available for
20 questions.

21 THE HEARING EXAMINER: All right. Thank
22 you. Good morning.

23 THE WITNESS: Good morning.

24 THE HEARING EXAMINER: So do you have the
25 petition in front of you?

1 THE WITNESS: I do.

2 THE HEARING EXAMINER: Do you have the
3 appendix?

4 THE WITNESS: Yes.

5 THE HEARING EXAMINER: So my understanding
6 from the filings is that this is information that
7 APCo received from contractors; is that accurate?

8 THE WITNESS: Yes. We asked some of the
9 implementation contractors that we work with to
10 provide us, based on their knowledge of the
11 programs that we had approved and actually
12 proposed at that time because we were in the
13 process of an ERAC filing, to take those into
14 consideration and asked them if they were to
15 assume that we would make targets through 2025 --
16 or actually through 2026 because anything we have
17 approved or proposed would carry us through 2026,
18 what it would take -- how could we increase our
19 energy-efficiency targets one percent by the end
20 of 2028, so basically for 2027 and 2028.

21 THE HEARING EXAMINER: So when you say
22 carries you through 2026, what level of
23 achievement are -- is the Company reaching when
24 you say, carries you through 2026?

25 THE WITNESS: When we ask that, it's not

1 necessarily what level of achievement, it was we
2 cannot propose any additional programs that would
3 have any effect on years prior to 2027.

4 THE HEARING EXAMINER: I see. That's just
5 a matter of timing and the regulatory process for
6 approval of programs?

7 THE WITNESS: That's correct.

8 THE HEARING EXAMINER: Okay. The -- when
9 I look at the -- either one really, I think --
10 let's see. Maybe it's the first one.

11 THE WITNESS: Okay.

12 THE HEARING EXAMINER: So the first one,
13 the incremental amounts and the budget amounts are
14 equal for each of the programs for each of the two
15 years, so residential new construction, major
16 renovation in 2027, the same exact number of
17 incremental gross kilowatt-hours and incremental
18 budget figures are also seen in 2028?

19 THE WITNESS: That's correct. Because it
20 would assume that over those two years, you get
21 about half year -- half year savings for '27 and
22 half in '28. So if you were looking to go from
23 the beginning of '27 to the end of '28, an
24 increase by one percent, the assumption was that
25 half of that would occur in '27 and half in '28

1 for this -- for this exercise.

2 THE HEARING EXAMINER: Okay. Is that --

3 THE WITNESS: May not be what actually
4 happens but for our planning purpose.

5 THE HEARING EXAMINER: Is that just a
6 simplifying assumption?

7 THE WITNESS: Yes.

8 THE HEARING EXAMINER: Okay. That's what
9 was tripping me up a little bit. I thought if you
10 had investment in a program in a year, you would
11 continue to see savings in year two.

12 THE WITNESS: You -- you would, but this
13 would be actually, like, when we see in the
14 incremental, the new -- the new savings you would
15 get, so you would be seeing an increase in savings
16 in programs potentially over the two years. But
17 for incremental or new savings, you -- we -- for
18 simplicity, we just did half each year.

19 THE HEARING EXAMINER: Okay. The
20 80 percent net to gross assumption going from the
21 two percent proposal to the 1.6 if it was net,
22 what -- what was the thinking behind that?

23 I did -- there was some testimony and I
24 took a look at the most recent EM&V report and it
25 did look like most of the -- all -- well, yeah, on

1 the whole, the net to gross ratios that were
2 reported in the Company's EM&V report were higher
3 than 80 percent.

4 Am I right?

5 THE WITNESS: I would have to look back at
6 the EM&V report. I can provide you the general,
7 but Company Witness Diebel could dive deeper --
8 deeper into that if you would like.

9 THE HEARING EXAMINER: Sure. You can do
10 that on rebuttal as well.

11 THE WITNESS: But just as an industry
12 standard for program planning, there is typically
13 an 80 percent net to gross that's applied and just
14 for, you know, planning purposes a lot of times it
15 can end up higher than that or it'll end up lower.
16 It really depends on the method you're using to --
17 to evaluate your programs.

18 THE HEARING EXAMINER: Okay. All right.
19 Thank you for your testimony. Let me see -- since
20 I asked some questions, let me see if I stirred
21 anything up.

22 Does anyone have questions of Ms. Stafford
23 based on mine?

24 All right. Any redirect?

25 MR. FLAVIN: No, Your Honor.

1 THE HEARING EXAMINER: All right. Thank
2 you for your testimony.

3 THE WITNESS: Thank you.

4 MR. FLAVIN: Your Honor, I note Mr. Diebel
5 is here and he might be able to --

6 THE HEARING EXAMINER: Yeah, let's --
7 maybe let's go ahead and do that, and also we can
8 do it on rebuttal also, but might as well while
9 we're there.

10 MR. FLAVIN: Okay. So at this point, we'd
11 call David Diebel to the stand.

12 DAVID DIEBEL, called as a witness, having
13 been first duly sworn, was examined and testified
14 as follows:

15 THE HEARING EXAMINER: Hello, sir.

16 THE WITNESS: Good morning, Your Honor.

17 THE HEARING EXAMINER: And we can kind of
18 dispense, I think, with the -- Mr. Diebel, I think
19 you probably just overhead the questions. I'm
20 generally interested in the net-to-gross ratio
21 that was assumed for purposes of the petition
22 and -- and comparing that to what I've seen in the
23 EM&V report.

24 Are you familiar with what -- the
25 net-to-gross ratios that were reported in the

1 Company's most recent EM&V reports?

2 THE WITNESS: At a high level, yes.

3 THE HEARING EXAMINER: Okay. Are you
4 familiar enough to know how the two compare,
5 80 percent, that's assuming the petition versus
6 what's in the most recent EM&V report?

7 THE WITNESS: Yes. My recollection is
8 that your statement is true, that on average, the
9 individual program net-to-gross ratio is reflected
10 in the 2023 EM&V reporting were higher than
11 80 percent.

12 THE HEARING EXAMINER: And the 80 percent,
13 do you have -- that was used in the petition, do
14 you have any testimony that's -- you know, on why
15 that was used?

16 THE WITNESS: Right. Well, one thing that
17 I'll note is that at the time that the petition
18 was filed was prior to the 2023 EM&V results being
19 finalized in the last EE case, and so one number
20 that I provided to APCo was the net-to-gross ratio
21 applicable to the total annual net savings in the
22 year 2022.

23 So those total annual savings are
24 cumulative in nature in that they include not just
25 2022 first year annualized savings, they also

1 include prior program year savings that persist
2 due to the long lives or duration of savings
3 associated with the measures that were installed
4 under those programs, and that value was
5 82.7 percent.

6 THE HEARING EXAMINER: All right. That's
7 helpful. Thank you for your testimony, sir.

8 Anyone have questions for Mr. Diebel?

9 Any redirect?

10 MR. FLAVIN: No, Your Honor.

11 THE HEARING EXAMINER: Thank you, sir.
12 You may be excused.

13 Okay. Does that complete the Company's
14 direct case?

15 MR. FLAVIN: Yes, Your Honor.

16 THE HEARING EXAMINER: All right.
17 Mr. Jaffe, do you want to introduce your witness
18 testimony?

19 MR. JAFFE: Yes, Your Honor. The Virginia
20 Energy Efficiency Council calls to be prefiled in
21 this case the direct testimony of Ms. Chelsea
22 Harnish, who is the executive director of the
23 Virginia Energy Efficiency Council.

24 Included with her testimony was a one-page
25 summary and four attachments labeled CH-1 through

1 CH-4. We believe that none of the parties have
2 any questions for Ms. Harnish on cross and so we
3 would ask that her direct testimony be marked as
4 the next exhibit in this docket and we would move
5 its admission into the record.

6 THE HEARING EXAMINER: Any objection?

7 All right. That will be marked and
8 admitted as Exhibit 4.

9 (Exhibit No. 4 was marked and admitted
10 into evidence.)

11 THE HEARING EXAMINER: Let's go ahead and
12 take up the scorecard, too, since her testimony --

13 MR. JAFFE: Yes, Your Honor.

14 Ms. Harnish's testimony references the
15 2023 Energy Efficiency Utility Scorecard that was
16 prepared by the American Council for an
17 Energy-Efficient Economy. I believe an electronic
18 copy of that document has been circulated by
19 counsel for Appalachian Voices from the Southern
20 Environmental Law Center. That is the same
21 document that Ms. Harnish references and discusses
22 in her testimony.

23 With no objection, we'd also ask that that
24 document be marked and we'd move its admission
25 into the record.

1 THE HEARING EXAMINER: Any objection?

2 All right. Thank you. And thank you for
3 circulating it ahead of the hearing.

4 MR. JAFFE: Thanks to my colleagues at
5 Southern Environmental Law Center for preparing
6 that.

7 We do have two other points for
8 Ms. Harnish's testimony, Your Honor. The first is
9 I believe the Commission had asked for complete
10 copies of the Company's most recent EM&V reports.
11 I thank counsel for the Company for circulating
12 those and providing those electronically as well.
13 Those are referenced in Ms. Harnish's testimony.
14 Leave it up to the Commission.

15 THE HEARING EXAMINER: Yeah, no, thank you
16 for reminding me. I knew other folks had
17 mentioned it, but let's go ahead and take care of
18 that.

19 So we have the ACEEE scorecard marked as
20 Exhibit 5. Let's mark the -- it seemed like the
21 public version would suffice for purposes of
22 completing the record, but if there is something
23 in the confidential version that necessitated us
24 having two exhibits, I'm open to that as well.

25 MR. JAFFE: For our purposes, Ms. Harnish

1 only references the public version of the EM&V
2 report.

3 THE HEARING EXAMINER: All right.

4 MR. FLAVIN: We're fine with just the
5 public version, Your Honor. Thank you.

6 THE HEARING EXAMINER: Any objection to
7 admission of the EM&V report, the public version
8 that was circulated via APCo's eRoom prior to the
9 hearing?

10 MR. JOHNS: Your Honor, I don't have an
11 objection. I think that if that document is in
12 the eRoom, that should be fine. I think the
13 scorecard that was circulated -- oh, I think Cale
14 already provided that to me.

15 I think there was a mess up on the e-mail
16 addresses and so we didn't receive that, but is
17 that the document that you sent this morning?

18 MR. JAFFE: I can re-forward it to you.

19 MR. JOHNS: Okay.

20 MR. JAFFE: Mr. Johns, I've got it. I
21 sent you the document that I'm about to mention
22 now this morning.

23 MR. BENFORADO: Here's a hard copy, and
24 we'll make sure he gets an electronic.

25 MR. JOHNS: Thank you. I just wanted to

1 clear that up because I notice -- I think there
2 was an "E" missing in the e-mail address.

3 THE HEARING EXAMINER: Okay. Yeah. Well,
4 let's -- going forward, and we'll make a note, if
5 there's another e-mail that goes out, let's get
6 Mr. Johns' correct e-mail address.

7 So are you good, Mr. Johns?

8 MR. JOHNS: We are all set, yes. Thank
9 you, Your Honor.

10 THE HEARING EXAMINER: All right. So
11 ACEEE scorecard is Exhibit 5, and the public
12 version of the EM&V report is marked and admitted
13 as Exhibit 6.

14 (Exhibits No. 5 and 6 were marked and
15 admitted into evidence.)

16 THE HEARING EXAMINER: And for clarity for
17 the record, I will say it looked like the most
18 recent report was technically two reports maybe,
19 one for commercial and industrial and one for
20 public, but I'm collectively just calling them the
21 EM&V report.

22 MR. FLAVIN: Thank you, Your Honor.

23 THE HEARING EXAMINER: All right.

24 MR. JAFFE: Your Honor, before we move on,
25 one issue just to bring to the Commission's

1 attention.

2 In reviewing Ms. Harnish's prefiled
3 testimony, the scanned PDF version that was
4 uploaded, it's hard to read her exhibit attachment
5 CH-2. I have printed out copies that are a little
6 easier to read which I would circulate now. It's
7 the Commission's discretion whether this would
8 qualify as a new exhibit or just merely useful for
9 interpreting a previously admitted attachment.

10 THE HEARING EXAMINER: I think if you can
11 get it into the hands of the bailiff, that will --
12 we can get it incorporated so that the uploaded
13 version hopefully looks better than the current
14 version.

15 MR. JAFFE: Thank you, Your Honor.

16 And I have additional paper copies for
17 counsel at the table today.

18 THE HEARING EXAMINER: So the document
19 that's being circulated, the clearer version of
20 Attachment CH-2 will be incorporated into
21 Exhibit 4, Ms. Harnish's direct testimony.

22 MR. BENFORADO: Your Honor, Appalachian
23 Voices would call Jim Grevatt.

24 JIM GREVATT, called as a witness, having
25 been first duly sworn, was examined and testified

1 as follows:

2 DIRECT EXAMINATION

3 BY MR. BENFORADO:

4 Q Good morning. Could you please state your
5 name, position, and business address.

6 A Yes. Good morning. My name is Jim
7 Grevatt. I'm a managing consultant with Energy
8 Futures Group, and the business address is 10298
9 Route 116, Hinesburg, Vermont 05461.

10 Q Do you have with you a document entitled,
11 direct testimony of Jim Grevatt Energy Futures
12 Group, consisting of a one-page summary, 31 pages
13 of questions and answers, and 23 pages of
14 attachments filed on September 30th, 2024?

15 A Yes, I do.

16 Q Was that document prepared by you or under
17 your direct supervision?

18 A Yes, it was.

19 Q Do you have any corrections to this
20 testimony?

21 A I have a few minor corrections. The
22 first, page 1, line 7, strike "Boston" and replace
23 it with "Charlotte."

24 On page 16, Figure 4 in the legend, one of
25 the years is wrong for the light blue -- or the

1 top line. It should read "Evaluated 2022 and
2 forecast 2023 to 2028, net total savings as a
3 percent of 2019 sales."

4 Q So let me just pause there and make sure
5 the record is clear.

6 So this is -- I have it on the screen
7 here. This is the lighter blue line, the top line
8 in the legend, "Evaluated 2022 and forecast."
9 You're saying the 2023 to 2025 should read "2023
10 to 2028," correct?

11 A Correct.

12 Q Okay.

13 THE HEARING EXAMINER: What page was that
14 again?

15 MR. BENFORADO: That is page 16 of his
16 testimony, Figure 4.

17 THE HEARING EXAMINER: Can you give me the
18 correction again? I'm sorry, I know you've done
19 it twice already.

20 MR. BENFORADO: No, I understand, Your
21 Honor.

22 Yes. It should read "Evaluated 2022 and
23 forecast 2023 to 2028 net total savings as a
24 percentage of 2019 sales."

25 THE HEARING EXAMINER: Great. Thank you.

1 BY MR. BENFORADO:

2 Q And, Mr. Grevatt, you have one more
3 question; is that right?

4 A Yes. Finally, on page 19, line 4, the
5 question says, quote, declines for 2027 to 2029.
6 And it should read, quote, declines for 2027 to
7 2028.

8 Q And so with those -- with those
9 corrections, do you wish to sponsor this document
10 as your direct testimony in this proceeding?

11 A Yes.

12 MR. BENFORADO: Your Honor, I'd ask that
13 Mr. Grevatt's testimony be marked for admission
14 and moved into evidence.

15 THE HEARING EXAMINER: Any objection?

16 It will be marked and admitted as
17 Exhibit 7, subject to cross.

18 (Exhibit No. 7 was marked and admitted
19 into evidence.)

20 BY MR. BENFORADO:

21 Q Did APCo make any points in its rebuttal
22 testimony that you would like to respond to,
23 Mr. Grevatt?

24 A Yes, there are several issues I'd like to
25 comment on.

1 Q Let's start on page 4 of Company Witness
2 Stafford's rebuttal testimony. And on page 4,
3 lines 12 to 15, "Witness Stafford states that the
4 Company has never seen a compelling reason to
5 saddle ratepayers with the cost of a potential
6 study."

7 Do you have a response?

8 A I do. Witness Stafford also states in the
9 next sentence that the Company, quote, works with
10 implementation contractors and stakeholders to
11 develop programs, end quote -- as if this is
12 somehow equivalent to a full assessment of the
13 potential to save energy through a broad range of
14 measures and programs.

15 While I appreciate the perspectives and
16 value that implementation contractors bring to the
17 planning process, there's no question that despite
18 this value, there are also significant limitations
19 inherent in the Company's process.

20 For starters, consider APCo's statement
21 referring to the planning work conducted by two of
22 its implementation contractors.

23 MR. BENFORADO: Your Honor, at this point,
24 I'd like to have an exhibit marked and admitted.
25 I'll hand it out.

1 THE HEARING EXAMINER: The document that's
2 being circulated will be marked as Exhibit 8.

3 (Exhibit No. 8 was marked for
4 identification.)

5 MR. BENFORADO: And this is the Company
6 response to Appalachian Voices 1-5.

7 BY MR. BENFORADO:

8 Q So Mr. Grevatt, could you describe what we
9 are looking at here?

10 A Yes, certainly. Let's look specifically
11 at item F. We asked in discovery for the specific
12 scope of work given to these contractors,
13 effectively what did APCo ask them to do.

14 And APCo responded that, quote, there is
15 no specific scope of work for the calculations.
16 The implementation contractors provided the
17 calculations through their EM&V program
18 partnership with the company. Neither
19 implementation contractor charged the Company for
20 this work, end quote.

21 In other words, the Company relies on a
22 back-of-the-envelope number to claim that it would
23 have to more than double its current 2025
24 energy-efficiency program budget to achieve an
25 additional one percent in gross savings. I would

1 say that the Company got what it paid for, a rough
2 cost estimate that is of little to no value in
3 determining the amount of savings the Company
4 could reasonably be expected to achieve.

5 Q Thank you, Mr. Grevatt.

6 MR. BENFORADO: Your Honor, to the extent
7 it hasn't been admitted, I'd move for its
8 admission.

9 THE HEARING EXAMINER: Any objection?
10 Exhibit 7 is in.

11 (Exhibit No. 8 was marked and admitted
12 into evidence.)

13 BY MR. BENFORADO:

14 Q Moving on to page --

15 MS. PIERCE: I'm sorry, Your Honor.

16 THE HEARING EXAMINER: I'm sorry.
17 Exhibit 8 is in.

18 MR. BENFORADO: Thank you, Your Honor.

19 THE HEARING EXAMINER: Mr. Grevatt's
20 testimony is 7. And the discovery response we
21 just discussed is Exhibit 8 and it's admitted.

22 MR. BENFORADO: Thank you, Your Honor.

23 BY MR. BENFORADO:

24 Q Let's move on to page 8 of Witness

25 Stafford's testimony, lines 12 to 14. Witness

1 Stafford briefly responds to one point in your
2 direct testimony. Specifically, she references
3 your suggestion in direct testimony that the
4 Company intends to cease offering existing
5 energy-efficiency programs at the end of 2026.

6 What is your response to Witness
7 Stafford's testimony here?

8 A Well, first of all, I find it quite
9 surprising that the Company only directly
10 responded to one point in my testimony and
11 essentially ignored all the rest.

12 This lack of engagement further highlights
13 how wholly deficient the record is to support the
14 Company's incredibly low savings proposal. Their
15 initial filing was just five pages with two
16 charts. But even on the one point they did
17 respond to, it is simply incorrect.

18 I did not make such a suggestion, nor
19 could I as I have no insight into the Company's
20 intentions. Indeed, the Company's intentions are
21 not in evidence in this case and my testimony is
22 based on the evidence that the Commission must
23 consider in making its determination.

24 I provided specific references to the
25 evidence the Company provided in the instant case.

1 On page four of my direct testimony that
2 Ms. Stafford refers to, I said that APCo's
3 proposal, quote, reflects the cessation of funding
4 and associated savings for several important
5 energy-efficiency programs after 2026.

6 Specifically in its most recent petition
7 for approval of new energy-efficiency programs, in
8 case number PUR-2023-00169 -- and I note this was
9 filed just 11 months ago -- APCo does not appear
10 to have sought to extend budget approval beyond
11 2026 for its energy-efficiency kits, business
12 energy solutions, efficient products, and small
13 business direct install programs, end quote.

14 MR. BENFORADO: Your Honor, I'd like to
15 mark another exhibit.

16 THE HEARING EXAMINER: All right.

17 MR. BENFORADO: This is the Company
18 response to Staff 1-3.

19 THE HEARING EXAMINER: The document that's
20 being circulated will be marked as Exhibit 9.

21 (Exhibit No. 9 was marked for
22 identification.)

23 BY MR. BENFORADO:

24 Q And, Mr. Grevatt, can you again describe
25 what we're looking at here? I've put the cover

1 page on first.

2 A Thank you. Yes, this is a table which was
3 provided in discovery by the Company and it shows
4 each program's projected savings and costs, and
5 these are for the years 2025 through 2029. The
6 table is also attached to my direct testimony as
7 Exhibit JG-2. And as you can see, the budgets and
8 savings generated by the four programs that I
9 referenced above zero out beginning in 2027.

10 Q And that's the rows I'm pointing at here,
11 the energy-efficiency kits, business energy
12 solutions, efficient products, small business
13 direct install, those are the programs that are
14 zeroed out beginning in 2027, 2028, and 2029; is
15 that what you're referring to?

16 A Exactly. And if I may point out, if you
17 look at the savings for -- in particular for
18 business energy solutions in 2025 and 2026, 41
19 million kilowatt-hours, you'll see that those are
20 by far the largest savings of any program shown
21 there, and those savings are omitted beginning in
22 2027 in the Company's currently proposed and
23 approved portfolio of programs.

24 Q So, Mr. Grevatt, are you reassured by
25 Witness Stafford's rebuttal statement that the

1 Company currently plans to extend some or all of
2 its current EE programs as long as they remain
3 cost-effective?

4 A Not at all. Nor should the Commission be.
5 If the Company had any evidence in this case to
6 refute my observation, it could have provided that
7 in rebuttal, but it did not. Neither did it
8 provide any evidence to back up its intentions.
9 It simply asks the Commission to assume, without
10 evidence, that it intends to extend some or all of
11 its current EE programs.

12 Respectfully, I don't think the Commission
13 should accept vague intentions. The Company had
14 an opportunity to extend these programs in its
15 recent DSM case and did not. And now the only
16 evidence the Commission has to rely on here is the
17 Company's current approved plans, which as I
18 explained in my direct, show that the new savings
19 -- and this is quote -- the new savings it
20 proposes for its programs will be reduced in 2027
21 to roughly 1/10th of the savings it forecasts for
22 2026.

23 Q If the Commission were to assume that the
24 Company does intend to extend some of the programs
25 you referenced, as Witness Stafford suggests in

1 her rebuttal, would it support the de minimis
2 goals that APCo has proposed in this proceeding?

3 A No. As I showed in my direct testimony,
4 the Company will exceed the goals it proposes in
5 2026 to 2028 simply on the basis of its projected
6 savings for -- for programs that are already
7 approved and it will do so just on the basis of
8 programs implemented through the end of 2025.

9 If, as it claims, it intends to extend
10 some or all of the programs that it has yet to
11 seek approval for beyond 2026, then it would
12 exceed the goals it proposes by an even greater
13 margin, which would also mean customers would be
14 on the hook for paying the Company an even larger
15 bonus.

16 MR. BENFORADO: And just for the record,
17 Mr. Grevatt, those were -- those figures you were
18 just talking about, that's represented in Figure 5
19 of your direct testimony?

20 THE WITNESS: Correct.

21 BY MR. BENFORADO:

22 Q Now, in rebuttal, Company Witness Stafford
23 also says that -- this is page nine of rebuttal
24 testimony, lines 15 to 17, Witness Stafford says
25 that, quote, since a detailed energy-efficiency

1 potential study will be conducted to guide targets
2 post-2028, it would be prudent to avoid setting
3 overly aggressive and potentially arbitrary
4 interim targets.

5 Do you agree?

6 A No. The statement to me makes no sense,
7 especially in light of Ms. Stafford's earlier
8 statement that the Company sees no value in
9 potential studies. I believe it simply expresses
10 the Company's desire to have low savings goals
11 that will allow it to earn a bonus return with
12 minimal effort.

13 And -- and I also think of a conversation
14 we had in Dominion's case a few weeks ago in
15 reference to statements made by the Company's
16 Witness, Dr. Goldberg who suggested, and I agreed
17 that --

18 MR. FLAVIN: Your Honor, I apologize.
19 Just it's -- are we trying to recharacterize the
20 Dominion testimony here in this case?

21 THE HEARING EXAMINER: I mean, it's -- can
22 we make the point without -- I mean, is there a
23 need to bring --

24 THE WITNESS: No.

25 THE HEARING EXAMINER: -- hearsay in?

1 Yeah, if you can make the point without, I
2 think that's probably a little more fair for folks
3 who weren't in the courtroom, including APCo's
4 attorneys.

5 THE WITNESS: Certainly. My apologies.

6 The point I'd like to make is that in my
7 experience and professional judgment, when
8 companies have ongoing program implementation,
9 they build relationships with customers and trade
10 allies that support continued availability of
11 savings.

12 When companies stop running programs and
13 then try to run them again, that really interrupts
14 the cycle with customers and with trade allies and
15 makes it much harder to achieve savings.

16 BY MR. BENFORADO:

17 Q Company Witness Stafford also refers to
18 Staff Witness Collier's testimony, and that is on
19 page ten, let's see, lines three to six. And she
20 states that he, referring to Staff Witness
21 Collier, contends that maintaining a constant
22 1.6 percent target could fail to push the Company
23 toward higher levels of energy savings and the
24 development of new energy-efficiency programs,
25 potentially resulting in missed opportunities for

1 additional savings.

2 Does Stafford, in rebuttal, respond to
3 this concern from Witness Collier?

4 A No, she doesn't. She simply ignores the
5 observation and provides no evidence to support a
6 different position.

7 I agree with Witness Collier. As I stated
8 in my direct testimony, quote, the Company's
9 forecast of the net total energy savings it will
10 achieve from its existing and approved programs
11 surpasses its proposed goals by a considerable
12 margin. APCo need only achieve its current
13 forecast through 2025 and it will coast to
14 achievement of the minimal goals it proposes in
15 each year of the 2026 to 2028 goals period.

16 In fact, APCo's own forecast shows that it
17 will exceed the goals it proposes even if it
18 suspends all of its energy-efficiency programs
19 after 2025.

20 Q Let's just end it there, Mr. Grevatt.

21 MR. BENFORADO: No further questions, Your
22 Honor.

23 THE HEARING EXAMINER: All right. Any
24 objection --

25 MR. BENFORADO: Oh, and --

1 THE HEARING EXAMINER: -- to the admission
2 of Exhibit 9?

3 It's in.

4 (Exhibit No. 9 was admitted into
5 evidence.)

6 MR. BENFORADO: Thank you, Your Honor.

7 THE HEARING EXAMINER: Mr. Jaffe.

8 CROSS-EXAMINATION

9 BY MR. JAFFE:

10 Q Good morning, Mr. Grevatt.

11 A Good morning, Mr. Jaffe.

12 Q I want to -- just have a couple of
13 areas -- questions based on your prefiled
14 testimony. I want to start where you discuss, I
15 think it's beginning on page 13 of your testimony,
16 the American Council for an Energy-Efficient
17 Economy's 2023 scorecard, which has now been
18 admitted as an exhibit in this proceeding.

19 Do you recall that testimony?

20 A Yes.

21 Q Now, Appalachian Power is not one of the
22 utilities that is included, that is rated in that
23 scorecard; is that right?

24 A That's correct. The scorecard looks at, I
25 believe it's the 52 largest investor-owned

1 utilities in the US.

2 Q And there are at least two of the
3 Company's sister companies, AEP Texas and AEP Ohio
4 that are included in the scorecard; is that
5 correct?

6 A Subject to check.

7 Q So can you -- what can we glean -- or
8 rather, let me phrase it this way. Can we still
9 glean helpful and relevant information and insight
10 into how we set the Company's targets in this
11 docket given the scorecard's information on other
12 utilities, including perhaps two of the Company's
13 sister utilities?

14 A Certainly. I will say that it's my view
15 that because the scorecard looks at savings as a
16 percent of sales, it's not necessarily true that a
17 smaller utility that's not included in the
18 scorecard couldn't achieve the same level of
19 savings, because it's a percentage, it's not an
20 absolute number.

21 If the scorecard was saying any utility
22 that achieves over 500,000 megawatt-hours a year
23 savings is going to be in the top tier, well,
24 then, the size of the utility would matter quite
25 a lot. Smaller utility wouldn't sell enough

1 energy to be able to save at that level. But it's
2 a percentage of sales.

3 So when we're looking at the percentage of
4 sales, I think it's quite relevant and that there
5 are, I believe I said 20, right, who are achieving
6 between 1 and 3 percent net annual incremental
7 savings as a percent of sales, I think that's
8 indicative that leading companies, companies with
9 aggressive programs or ambitious programs can
10 achieve high levels of savings.

11 And, in fact, the Company's own
12 projections are, for annual incremental, I believe
13 it's .81 percent net savings as a percent of 2019
14 sales in 2023, and then in '24, I think it's about
15 1.3 -- it's either 1.2 in '24 and 1.3 in '25 or
16 the other way, but well over one percent.

17 Q You referenced just there, Mr. Grevatt,
18 what you refer to as the leaders in seeking
19 energy-efficiency savings.

20 Does the report also tell us not just
21 where, let's say, that the most ambitious
22 utilities are but where sort of the center of the
23 pack might be? So it's not just the most
24 aggressive leaders, but does it also tell us
25 something about where other utilities fall in the

1 mix?

2 A It does. I mean, it ranks all of the
3 utilities in the scorecard in terms of their net
4 savings as a percent of sales. And some of them
5 are quite low in the, you know, .2 percent. I
6 believe the average is around .7, but I would have
7 to confirm that with the scorecard.

8 Q Okay. And so that -- then my point here
9 being that you would agree that the scorecard is
10 useful in getting a sense of what is achievable
11 and feasible and cost-effective in seeking out the
12 greatest level of efficiency savings out there?

13 A Yes.

14 Q All right. I'd like to move on to another
15 issue in your testimony that you talked a bit
16 about already on surrebuttal in terms of programs
17 that the Company may be suspending after 2026
18 program year.

19 And to get there, I'd like to put on the
20 screen now, Figure 7, which is on page 2022 of
21 your direct testimony.

22 Do you recall this exhibit?

23 A Yes, I do.

24 Q And I talked in my opening statement here
25 about what I called a cratering problem, that if

1 we're setting goals in 2026 and out eventually to
2 2029, that if we have a crater between, it's hard
3 to climb back up.

4 Is it fair to say this chart does a good
5 job of showing visually that -- the cratering
6 problem?

7 A I believe it does.

8 Q And so would you agree, then, that,
9 subject to check, that the code beginning in --
10 the Virginia Code beginning in 2029 is directing
11 the Commission to set efficiency targets at a
12 level necessary to achieve the greatest level of
13 energy savings that are feasible and achievable?

14 A I'm sorry. Could you just state the
15 question again and make sure I understand.

16 Q Sorry. Would you agree, subject to check,
17 that the relevant portion of the Virginia Code
18 directs the Commission to set efficiency targets
19 beginning in 2029 that are a level necessary to
20 achieve the greatest level of energy savings that
21 are feasible and achievable?

22 A Yes. And I think that this graphic really
23 illustrates the problem that I was just speaking
24 to. If a company continues to offer programs and
25 build those relationships in the market, build the

1 awareness with customers, then they have a
2 reasonably much better chance to continue to
3 maximize savings.

4 With a program drop like this, what I
5 would be very concerned about is that the Company
6 would then incur very significant costs that
7 ratepayers would bear to restart the programs, to
8 rebuild those relationships, to turn contractors
9 who may be frustrated by the fact that the Company
10 had programs and then pulled the rug out from
11 under them, to get those contractors re-engaged
12 and participating again.

13 Q So the cratering problem is really another
14 way of identifying that the problem's starting
15 programs, stopping them, and then trying to
16 restart them again; is that correct?

17 A Absolutely.

18 And I'm speaking from personal experience
19 when I managed programs in Vermont Gas in the
20 '90s. We had a very successful residential new
21 construction program. It was so successful that
22 we were burning through the budget too fast. We
23 suspended the program. And when we restarted it
24 six months later, some of the homebuilders took
25 five, six, seven years to get them to participate

1 again.

2 Q And is it that there's customer confusion
3 in terms of, you know, there was an program here
4 and now it's not here and now it's there again?

5 A It's both customer confusion and trade
6 ally confusion. If you're a contractor and you're
7 trying to use, say, rebates from a utility company
8 to make your sales and then those rebates go away
9 and you don't have them as a sales tool anymore,
10 you might be reluctant to start taking advantage
11 of them again if they come back because you don't
12 know if they are going to go away again. And it
13 kind of disrupts the whole sales model process.

14 Q Let me turn now to another point in your
15 testimony.

16 MR. JAFFE: And this is the last area I
17 have questions for Mr. Grevatt.

18 BY MR. JAFFE:

19 Q Beginning on about page -- I think it's
20 page 22 of your testimony, lines 6 through 8, you
21 discuss the Company's claim that it must increase
22 its annual budget by approximately \$30 million to
23 hit more ambitious targets.

24 Do you recall that?

25 A Yes.

1 Q And it was your testimony that that
2 \$30 million figure seems -- it was unsupported; is
3 that correct?

4 A I think that's exactly right, it was
5 unsupported.

6 Q Assume just for the sake of argument that
7 that \$30 million were correct, is it your
8 understanding the Company cannot actually spend
9 that money, or at least cannot spend -- get
10 reimbursement from -- cannot spend money and get
11 reimbursed by customers unless those programs are
12 approved by the Commission; is that right?

13 A That is my understanding.

14 Q And the Commission does not approve
15 programs unless they are deemed to be
16 cost-effective, correct?

17 A Correct.

18 Q So if we take something like the Utility
19 Cost test -- are you familiar with that test?

20 A Yes.

21 Q That's one of the tests that the
22 Commission currently uses.

23 If it is cheaper for the utility to invest
24 in energy-efficiency programs than it is to buy
25 power off the grid or burn more gas in one of its

Transcript of Hearing
Conducted on November 4, 2024

83

1 existing power stations, then a program would pass
2 the Utility Cost test; is that right?

3 A Correct. And the Utility Cost test also
4 reflects costs for building up the distribution
5 and transmission system.

6 Q So, again, assuming just for the sake of
7 argument that the \$30 million is correct, if we
8 did not spend \$30 million on cost-effective
9 energy-efficiency programs, is it correct that we
10 would necessarily be spending that or more on
11 fuel, market purchases, transmission costs, and
12 the like?

13 A I want to answer and say that is
14 absolutely the point that the Utility Cost test is
15 intended to make. There are other variables, to
16 be fair. Changes in demand affect all those
17 things.

18 So if everything is held fixed in a point
19 of time and programs the \$30 million pass the
20 Utility Cost test, then yes, that \$30 million is
21 less than what ratepayers -- the cost ratepayers
22 would otherwise bear for fuel costs, TND
23 improvements, and so forth.

24 Q So just to cement this point, the question
25 here is not about spending an additional

1 \$30 million, it's about how that \$30 million might
2 be spent either on cost-effective efficiency
3 programs approved by the Commission or on other
4 means to meet customers' electricity needs?

5 A Exactly.

6 THE HEARING EXAMINER: Are we
7 oversimplifying a little bit, kind of not thinking
8 about the low-income programs that aren't required
9 to be cost-effective?

10 I seem to recall from the EM&V report that
11 those are not above one and anything except for
12 maybe the participant test.

13 THE WITNESS: Fair point, Your Honor. If
14 we look, though, at the portfolio as a whole, if
15 the portfolio as a whole passes the Utility Cost
16 test, then those investments are going to cost
17 less than the investments that otherwise would be
18 required to meet customers' needs. And I think --
19 well, let me leave it there.

20 THE HEARING EXAMINER: Yeah, I appreciate
21 that clarification.

22 THE WITNESS: Thank you.

23 MR. JAFFE: No further questions, Your
24 Honor.

25 MR. JOHNS: We have no questions, Your

1 Honor.

2 THE HEARING EXAMINER: Okay.

3 MR. BARTLEY: No questions, Your Honor.

4 MS. ADAMS: No questions, Your Honor.

5 THE HEARING EXAMINER: Yeah, let's go
6 ahead and have APCo.

7 MR. FLAVIN: Thank you. Just a couple of
8 questions, Your Honor.

9 CROSS-EXAMINATION

10 BY MR. FLAVIN:

11 Q Good morning, Mr. Grevatt.

12 A Good morning, sir.

13 Q My name is Andy Flavin. I'm an attorney
14 on behalf of APCo. I just have a few questions.
15 I don't think this will take very long.

16 If I can get you to please turn to page 29
17 of your testimony.

18 A I'm there.

19 Q Okay. And I'm looking at starting at
20 line 6, where you talk -- you respond to a
21 question, what does APCo propose for low-income
22 program goals?

23 A Yes.

24 Q Okay. And you state you believe that
25 because the petition is silent on any specific

1 goals for low-income or age- and income-qualified
2 programs that it's inconsistent with the VCEA's
3 requirement that at least 15 percent of the
4 proposed costs of the Company's energy-efficiency
5 programs shall be allocated to those types of
6 low-income customers?

7 A I said that, yes.

8 Q Okay. And I think -- and you state
9 that it's -- well, starting on line 10 and going
10 over onto line 1 of page 30, you quote, I believe
11 it's Virginia Code Section 56-596.2 A. Does that
12 seem right to you?

13 A Yes.

14 Q Okay. And I believe you said you reviewed
15 Ms. Stafford's rebuttal testimony?

16 A I did.

17 Q Okay. And did you review her Figure 1 on
18 page 4 of her rebuttal showing the Company's
19 low-income program budgets from 2021 to 2026
20 relative to total program budgets?

21 A I'm sure I did.

22 Q Okay. And based on those numbers, the
23 low-income budgets exceed 15 percent of the total
24 program budgets; would you agree?

25 A Subject to check, I had no question that

1 the programs that are currently approved -- for
2 the portfolio as currently approved, that the
3 low-income programs are greater than 15 percent of
4 the budget.

5 Q Okay. And would you also agree with me
6 that, in this case, APCo is not required to
7 propose specific low-income energy-efficiency
8 savings targets?

9 A I believe that would be a legal question
10 that I'm not going to attempt to answer, but I
11 believe that the Company -- my understanding, lay
12 understanding of the statute is that the portfolio
13 as proposed must be 15 percent or more of the
14 total budget toward the income and age-qualified.

15 Q Okay. Thank you.

16 All right. And then if I can get you to
17 please turn back to page 19.

18 A I'm there.

19 Q Okay. And, let's see, starting at line
20 three -- I apologize. You know what, skip that.
21 We're good. Thank you.

22 Can you turn to page eight. I apologize.
23 And specifically at page eight, starting at line
24 three of your testimony --

25 A I'm there.

1 Q Okay. And you state, similarly in a
2 recent amendment to the Code, the General Assembly
3 also made clear that in future proceedings, the
4 targets shall be the great -- quote, shall be the
5 greatest level of energy -- energy savings that
6 the Commission finds is feasible and
7 cost-effective, closed quote.

8 And you -- I believe you're citing there
9 Virginia Code Section 56-596.2 B 4.

10 Does that seem right to you?

11 A Yes.

12 Q Okay. And then if -- if I could get you
13 now to turn back to page 26 -- I apologize for the
14 back and forth here -- and I'm starting at line
15 one here, you -- well, starting on the bottom of
16 page 25, I think you -- you reproduce a section of
17 56-596.2 B 4?

18 A Yes.

19 Q And then going over to the top of page 26,
20 you note that that provision does not expressly
21 apply to the 2026 to 2028 period; is that right?

22 A Yes, it is.

23 Q Okay. And -- but then I think -- you go
24 on here to note, this language combined with other
25 provisions, including the margin award for hitting

1 the standards and bonuses for exceeding the
2 standard, reflects that the standard should
3 reflect the maximum feasible energy savings, not
4 merely any level that is shown to be feasible; is
5 that right?

6 A That's my opinion, yes.

7 Q Okay. Now, with respect to the -- to the
8 other provisions that you reference there on line
9 two and on to line three as well, I think one of
10 those I believe is 56-581 -- excuse me,
11 585.1 A 5 c, does that sound right to you?

12 A I don't know the reference off the top of
13 my head, sir.

14 Q Okay. Well, I will put it up for you
15 because you -- you reference it in your testimony.

16 A Thank you.

17 Q And just to show, this is the -- okay.
18 Does this highlighted language here, does that
19 look like the language that you were referring to
20 in your testimony?

21 A Yes, the -- the two highlighted sections.

22 Q Okay. Yeah, okay, both highlighted
23 sections, okay.

24 And this -- going back here -- going back
25 here just one page, this is the beginning of

1 that -- the preceding page, the beginning of that
2 section, this 56-585.1 A 5 c.

3 Okay. C is at the bottom here, and you
4 see the highlighted language there, the Commission
5 shall only approve such a petition if it finds
6 that the program is in the public interest?

7 A Yes.

8 Q And this is in reference to the
9 energy-efficiency programs we're talking about,
10 right?

11 A Understood, yes.

12 Q Okay. And so you'd agree with me that
13 there's nothing in those sections that talks about
14 maximizing energy-efficiency savings?

15 A Correct. Yes, I agree.

16 Q Okay. All right. And you'd agree with me
17 that in order to get the programs approved they
18 have to be in the public interest?

19 A Yes.

20 Q Okay. And is -- would you agree with me
21 that cost-effectiveness is a factor to be
22 considered in determining which programs are in
23 the public interest?

24 A Yes.

25 Q And finally, last thing I want to ask you

1 about, if you could just switch over to page 27.

2 A Uh-huh.

3 Q And I'm looking at, starting at line four,
4 you present your recommended savings targets for
5 APCo, right?

6 A Yes.

7 Q And those are 3.20 percent for 2026,
8 3.65 percent for 2027, and 4.50 percent for 2028,
9 right?

10 A Correct.

11 Q Okay. And you didn't provide any
12 estimates for the additional cost it would take in
13 order for APCo to meet those goals, right?

14 A I did not estimate those costs. I did
15 not. I think -- and I think that a fulsome
16 development of a proposed cost would be useful. I
17 didn't look at the data provided by the two
18 contractors that the Company relied on and I note,
19 for example, the business energy program costs in
20 2025 was something like 13 or \$0.14 a
21 kilowatt-hour, projected. One of the contractors
22 came up with a cost that was about -- for '27,
23 about \$0.44 and the other one was about \$0.66, so
24 I looked at those and I think those are completely
25 unsupported by any evidence.

1 I think a reasonable cost estimate should
2 be part of a program proposal and my belief is,
3 from the proceedings I have participated in,
4 companies do provide cost estimates with their
5 proposed savings.

6 Q Okay. But -- and so I understand, you
7 don't necessarily agree with APCo's proposed - or
8 cost estimates, but you'd agree with me that at
9 this point, APCo is the only one that even
10 attempted to provide cost estimates, and you did
11 not provide a cost estimate for your proposed
12 targets?

13 A Well, I -- I would not agree APCo
14 attempted to provide a cost estimate. I would
15 state that APCo asked a couple contractors what
16 they thought it was going to cost without
17 providing them for a scope of work, without
18 sharing the parameters of those cost estimates,
19 how they were developed, so I would not say that
20 that's providing a cost estimate. But I did not
21 try to estimate those costs.

22 MR. FLAVIN: Okay. Thank you. Those are
23 all the questions that I have.

24 THE WITNESS: Thank you.

25 THE HEARING EXAMINER: On your proposed

1 targets for page 27, can you walk me through how
2 you calculated -- it looked like you used -- you
3 had a specific one percent net annual incremental
4 savings per years that you -- at least from my
5 reading of your testimony, you incorporated in
6 recommending your targets.

7 Could you just walk me through the math?

8 THE WITNESS: Absolutely, I'd be happy to.
9 I used the -- the response to Staff 1.3 or 1-3
10 discovery response as the basis. I looked at by
11 program -- and it's actually, I have to say it's a
12 very useful piece of data that the Company
13 provided because it shows by program, by year, the
14 expected persisting savings.

15 So, for example, programs that were
16 implemented in 2017, it looks at each year going
17 forward and estimates what the remaining
18 persisting savings will be, it accounts for
19 measures that reach the end of their useful lives.

20 So I added up all those savings. And
21 certainly if we looked at Figure 8 on my page 27,
22 that's where I found that the savings crater in
23 '27 and '28 based on that evidence.

24 THE HEARING EXAMINER: If I could just
25 have you pause. You referenced 1-3, which I think

1 is Exhibit 9, so you said you added up all the
2 savings from that response. Could you just kind
3 of -- if you still -- if you have that, maybe you
4 don't. We can put it on the overhead. But I just
5 want to get a sense of what numbers we're talking
6 about from that document.

7 THE WITNESS: Yeah, there are -- there
8 were -- in that response, 1-3, so this is just one
9 component of the response that's this exhibit,
10 which shows the program's -- program-by-program
11 savings here.

12 There's another tab in the worksheet that
13 shows all of the historic programs, year of
14 implementation, and the persisting savings by year
15 going forward through, I believe, 2029.

16 So because there are other programs
17 besides these -- these are programs that are going
18 to be -- or proposed to prove actually at this
19 point to be implemented from 2025 through 2029.
20 There are other programs that have finished that
21 are still contributing to the total annual energy
22 savings, the cumulative persisting savings.

23 So I added up all of those cumulative
24 persisting savings for each of these years that
25 are shown in the illustration in figure -- my

1 Figure 8, and to show that -- well, to see, to
2 understand in the data what's proposed, what's
3 currently on the books that they exceed one
4 percent starting in '25 and '26 and then drop
5 down.

6 And my feeling was, well, one percent
7 annual incremental is at the low end of what
8 leading utilities are achieving. We talked about
9 the 20 -- that get between 1 and 3 percent in the
10 utilities scorecard.

11 If APCo were to continue to get one
12 percent new annual incremental savings, account
13 for the measures that are expiring, account for
14 the opt-out savings at the level the Company
15 assumed, which may be low, I think there was some
16 discussion with Staff about this, it's around
17 29,000 megawatt-hours per year, I just carried
18 that forward, where would one percent get them,
19 and it would get to 3.2, I believe, is the
20 Company's current projection for 2026, and which I
21 don't think is unreasonable based on their
22 programs and the savings when we look at the
23 ramp-up that's occurring, but let's keep saving at
24 roughly that rate. I dropped it to one percent
25 instead of 1.2 or 1.3.

1 If the Company were to keep saving more or
2 less at the same rate that it already projects it
3 will in '24, '25, and '26, these are the
4 cumulative persisting or net total annual savings
5 that would result.

6 Does that help?

7 THE HEARING EXAMINER: It does, yeah. I
8 think I probably want that spreadsheet to be part
9 of the record so I can kind of look back at your
10 testimony and look at the tab that you referenced,
11 but, yeah, that does help me because I couldn't --
12 I couldn't get there, so I appreciate that.

13 Yeah, let's go ahead, it's the response to
14 Staff request, if someone could -- maybe I'll ask
15 Staff if you could maybe over the lunch break --
16 or who would be the best -- who would have the
17 electronic version? Maybe it's the Company
18 actually since it's your discovery response. If
19 possible if we could get that either over the
20 lunch break or shortly thereafter, get it
21 circulated to everyone, I would like that to be
22 admitted as an exhibit to help complete the
23 record.

24 MR. FLAVIN: Thank you, Your Honor. And I
25 just note that, I don't know to the extent it

1 makes any difference, I'm happy to provide it in a
2 different format or e-mail it. I believe it is in
3 the -- the iManage data rooms that we provided
4 access to Your Honor and the parties and the
5 bailiff as well, but if you'd like it provided in
6 another manner, we're happy to do so.

7 THE HEARING EXAMINER: Let me make sure.
8 Does everyone have access to that E-room? That's
9 sufficient and the bailiff does as well.

10 MR. BENFORADO: Yes, Your Honor. And just
11 for the record, that would be -- that would be in
12 Excel format.

13 THE HEARING EXAMINER: Yeah, the
14 electronic version -- I assume that's what you're
15 talking about that was in the eRoom; otherwise, I
16 don't know how you would have seen the tab.

17 MR. FLAVIN: Yes, Your Honor.

18 THE HEARING EXAMINER: All right. Let's
19 mark and admit that as Exhibit 10, electronic
20 version of APCo's response to Staff's 1-3. And
21 it's admitted.

22 (Exhibit No. 10 was marked and admitted
23 into evidence.)

24 MR. BENFORADO: Just very briefly, Your
25 Honor, on redirect.

1 THE HEARING EXAMINER: Sure.

2 REDIRECT EXAMINATION

3 BY MR. BENFORADO:

4 Q You were just talking with counsel for the
5 Company about a section of Code 56-585.1 A 5 c and
6 you looked at some highlighted language, and
7 counsel asked whether that language, you know,
8 said anything about maximizing energy-efficiency
9 savings.

10 Do you recall that discussion?

11 A Yes.

12 Q Could you explain what your point was with
13 referencing that code? It wasn't about sort of
14 language in that code saying maximizing.

15 Could you explain what that section of
16 code means to you and why it's important to this
17 analysis?

18 A Well, it's really talking about the return
19 the Company is entitled to by law for its
20 achievements. And to my way of thinking -- and I
21 believe that this is actually reflected in the
22 law -- you don't get a bonus for doing something
23 that's going to happen anyway.

24 There was a program that was proposed
25 years ago in Maryland by a utility. It was called

1 the Customer Action Program. And their proposal
2 was, we're going to go out and find out what
3 people are doing on their own and we're going to
4 take credit for it.

5 Now, the Commission shot that down, but in
6 some respects, it's not quite fair to say that
7 that's what the Company is proposing here, but
8 they're very clearly proposing that they should
9 get a bonus return that ratepayers should bear the
10 cost of -- for achieving something that they are
11 already going to do based on their approved
12 programs. That's why I reference that language.

13 Q Thank you.

14 And the last point here, following up on
15 your conversation with the Hearing Examiner as
16 well as your conversation about your analysis and
17 the fact that I believe you did not do sort of a
18 cost estimate underneath your proposed savings
19 targets, so my only question is: Did APCo ask for
20 your work papers in this case?

21 A No, APCo asked for no discovery whatsoever
22 on my testimony.

23 MR. BENFORADO: No more questions, Your
24 Honor.

25 THE HEARING EXAMINER: All right. Thank

1 you. You may be excused.

2 THE WITNESS: Thank you, sir.

3 MS. HORAN: Sierra Club calls Mr. Roger
4 Colton.

5 THE HEARING EXAMINER: Does anyone need a
6 break, or can we try and get one more witness in
7 before lunch?

8 Those aren't mutually exclusive. We can
9 also take a break if we needed one.

10 All right. Let's keep going.

11 ROGER D. COLTON, called as a witness,
12 having been first duly sworn, was examined and
13 testified as follows:

14 DIRECT EXAMINATION

15 BY MS. HORAN:

16 Q Would you please state your name and
17 business address for the record.

18 A My name is Roger, R-o-g-e-r, D. Colton,
19 C-o-l-t-o-n. My address is 34 Warwick Road, in
20 Belmont, Massachusetts.

21 Q By whom are you employed, and what is your
22 position?

23 A I am the owner of the firm Fisher,
24 Sheehan & Colton, Public Finance & General
25 Economics.

1 Q Did you prepare the written testimony that
2 was filed in this case by the Sierra Club on
3 September 30th, 2024, in a public version only?

4 A Yes.

5 Q Does that testimony consist of a cover
6 page, A1-page summary, 57 pages of questions and
7 answers, and 14 exhibits?

8 A Yes.

9 Q Do you have any changes or revisions to
10 your direct testimony?

11 A I do. On page 12, Table 1, the ACS table
12 referenced should be Table B 25040. So that's B,
13 as in boy.

14 On page --

15 Q Sorry. Is this correct, what I have put
16 up on the overhead?

17 A Yes.

18 On page 16, line 7, the word "state"
19 should be deleted and the word "states," plural,
20 should be inserted in lieu thereof.

21 Q Okay. I believe that's what I have on the
22 overhead.

23 A So it should read "APCo states."

24 Q Okay. And what's the next correction?

25 A On page 20, lines 3 and 4, the year '22

1 should be deleted and the year 2025 should be
2 inserted in lieu thereof.

3 And the year 2025 should be deleted and
4 the year 2029 should be inserted in lieu thereof.
5 Those changes in years carry through the next
6 couple of corrections.

7 So in Table 5, in the table title, rather
8 than "2022 through 2026," it should read "2025
9 through 2029."

10 And the column heads should be -- the
11 years should be corrected. I won't go through
12 each of the -- well, I will.

13 2022 should be 2025. 2023 should be 2026.
14 2024 should be 2027. 2025 should be 2028. And
15 2026 should be 2029.

16 Q Can you verify that I've gotten that
17 correct on the overhead?

18 A That's -- what's on the overhead is
19 corrected.

20 Q All right. What's the next correction?

21 A Then the same correction needs to be
22 brought forward on to Table 6 on page 2021. So in
23 the table title, 2022 through 2026 should be 2025
24 through 2029. And the correction should be made
25 to the dates in the column heads 2026 versus 2025;

1 2027 versus 2026; 2028 versus 2027; 2029 versus
2 2028; and then the totals 2029 versus 2025.

3 Q And can you verify as I have it on the
4 overhead is the correct --

5 A What's on the overhead is correct.

6 Q Okay. And what is the next correction?

7 A And back to just a couple of typos.

8 On page 2023, footnote 26, again it should
9 be Table B, 25036.

10 Q Okay. And what is the next correction?

11 A On page 24, Table 7, the reference, again,
12 should be to Table B, 19001. Again, it's B, as in
13 boy.

14 Q Okay. I think you have one final
15 correction?

16 A And then finally on page 44, the first
17 "increases" should be deleted and the word
18 "decreases" should be inserted in lieu -- in lieu
19 thereof. So it's "As household income decreases,
20 home energy insecurity increases."

21 Q Thank you.

22 A Those are the corrections.

23 Q Thank you.

24 Does the written testimony as you just
25 revised substantially reflect the answer you give

1 if I were to ask you the same questions today?

2 A Yes.

3 Q And do you adopt the testimony as
4 corrected today as your direct testimony in this
5 case?

6 A Yes.

7 MS. HORAN: Your Honor, Sierra Club moves
8 for admission of this testimony as previously
9 described and corrected.

10 THE HEARING EXAMINER: Any objections?

11 It's admitted as Exhibit 11, subject to
12 cross.

13 (Exhibit No. 11 was marked and admitted
14 into evidence.)

15 BY MS. HORAN:

16 Q Mr. Colton, have you had an opportunity to
17 review APCo's rebuttal testimony in this case?

18 A Yes.

19 Q And are there any witnesses whose rebuttal
20 testimony you'd like to address on surrebuttal?

21 A Yes. I would like to respond to the
22 rebuttal testimony of Company Witness Tammy
23 Stafford.

24 Q Please refer to pages 3 and 4 of
25 Ms. Stafford's rebuttal testimony.

1 Ms. Stafford is discussing whether the
2 Company has met the statutory requirement that it
3 devote 15 percent of its efficiency spending to
4 low-income, elderly, or disabled individuals, or
5 veterans.

6 Do you see at the bottom where
7 Ms. Stafford states that Sierra Club, quote,
8 accuses the Company without supporting evidence of
9 not meeting the statutory requirement, end quote?

10 A I do.

11 Q Do you have a response to her assertion
12 that you testified that the Company failed to meet
13 the 15 percent requirement?

14 A Yes.

15 Ms. Stafford does not cite the specific
16 place in my direct testimony where I presumably
17 make the, quote, accusation that the Company is
18 not spending 15 percent of its proposed efficiency
19 budget on the identified population, what I will
20 call "the IAQ budget." I made no such statement.

21 The question itself refers to page 6 of my
22 direct testimony, but on that page, I only cite
23 the requirement without stating whether APCo met
24 it. Indeed, my Table 5 presents the IAQ budget
25 based on data from the source APCo identified when

1 it conceded that it had not previously calculated
2 IAQ spending as a percentage of the total budget.

3 I would like to clarify what I actually
4 testified to regarding APCo's IAQ spending. My
5 objections to the IAQ spending are twofold.

6 First, at page 21, I note that the home
7 energy performance program increase at a rate of
8 more than twice than the low-income program in the
9 budget for the energy-efficiency kits increased at
10 a rate of seven to nine times faster than the
11 low-income program.

12 Second, at page 26, I expressed concern
13 that the Company's actions to deliver electricity
14 savings to these customers is unreasonably low --
15 "these customers" being IAQ customers is
16 unreasonably low -- and the electricity savings
17 and spending goals, which the Company proposes in
18 this proceeding, are correspondingly unreasonably
19 low as well.

20 Using the roughly 1,030 low-income
21 customers the Company reports serving each year,
22 it would take 150 years to treat all low-income
23 households at the low end of the estimated number
24 of low-income households, and 228 years to treat
25 all low-income households at the high end of the

1 estimate of low-income households.

2 Ms. Stafford's rebuttal testimony, in
3 other words, does not respond to any objection to
4 the APCo IAQ spending that I made.

5 Q Next, please refer to page 4 of
6 Ms. Stafford's rebuttal testimony.

7 Do you see right above the table -- or
8 right above Figure 1 where she claims that, quote,
9 the Company more than doubles the requirement, end
10 quote?

11 A I do.

12 Q How do you respond to Ms. Stafford's claim
13 that the IAQ spending is two times the 15 percent
14 requirement?

15 A I have four responses. First, the
16 statutory requirement is not that the Company
17 should spend 15 percent. The requirement is that
18 -- is that APCo should spend at least 15 percent.
19 It is a minimum requirement.

20 Second, the 15 percent cannot be applied
21 against the total budget that is otherwise
22 unreasonably low. If that were permissible, the
23 Company could increase its IAQ spending percentage
24 by pursuing an increasingly inadequate total
25 budget.

1 Third, as I detail in my direct testimony,
2 the IAQ spending is objectively inadequate,
3 irrespective of whether it has met the 15 percent
4 minimum.

5 And finally, fourth and finally, the fact
6 that APCo may have met the 15 percent minimum
7 spending addresses none of the other shortcomings
8 that I identified in my direct testimony.

9 Q And further down the page, Ms. Stafford
10 makes a statement regarding the lack of a market
11 potential study.

12 Do you have a response?

13 A I do. Ms. Stafford asserts on page four
14 that nothing in the -- quote, nothing in the
15 Virginia Clean Economy Act, end quote, requires
16 preparation of a market potential study.

17 Whether her assertion is an accurate
18 reading of the act is a legal question that I'll
19 leave to the attorneys to argue to the Commission.

20 Ms. Stafford -- Ms. Stafford further
21 asserts on page four that market potential studies
22 are expensive and time-intensive to perform and
23 there is no compelling reason to saddle ratepayers
24 with such a cost. However, she presents no
25 information and no data to support that

1 conclusionary statement on cost.

2 The Company should have presented what
3 cost and time commitment is associated with their
4 preparation of a market potential study so the
5 Commission could determine whether given that
6 data, a market potential study would be in the
7 best interests of customers.

8 My experience, however, is that it isn't
9 reasonable to determine an energy-efficiency
10 savings target without knowing the overall
11 potential for savings and without knowing within
12 that total overall potential, the amount of the
13 potential, which could be effectively achieved
14 over time.

15 Moreover, it is simply not reasonable to
16 attempt to determine that target without knowing
17 the total potential for cost-effective savings
18 that could be achieved over time. Undertaking a
19 market potential study is, in other words, a
20 necessary and inherent step in setting
21 energy-efficiency savings targets.

22 Q Let's move on to page five of
23 Ms. Stafford's rebuttal testimony.

24 Do you see where Ms. Stafford asserts on
25 page five that Energy Star refrigerators are not a

1 cost-effective standalone energy-efficiency
2 measure?

3 A I do.

4 Q And do you agree?

5 A No. First, I referred to refrigerator
6 recycling, which includes not merely early
7 replacement of refrigerators, but also the
8 abandonment of second refrigerators. My direct
9 testimony specifically spoke about second
10 refrigerators.

11 But having said that, refrigerator
12 recycling is routinely included as a
13 cost-effective low-income usage reduction measure.
14 I do a lot of work in Pennsylvania and the
15 programs that I work with in Pennsylvania all
16 include refrigerator recycling.

17 In addition, here in Virginia, while the
18 Company did not prepare an energy-efficiency
19 potential study, one could look at the -- the
20 study that Dominion filed in -- in its proceeding,
21 specifically Tables 5-9 and 5-10.

22 MS. HORAN: I have those tables, Your
23 Honor, and I'd ask that they be marked as an
24 exhibit.

25 THE HEARING EXAMINER: You can go ahead

1 and circulate them. Is it just --

2 MR. FLAVIN: Your Honor, just a quick
3 question here, if I may, just to try to
4 understand.

5 Is the purpose of this to have Mr. Colton
6 testify regarding a Dominion market potential
7 study that was evaluated in an entirely different
8 case which the Company did not participate in?
9 We'd have some concerns that -- if Mr. Colton is
10 going to be testifying as to the results of
11 Dominion's study.

12 THE HEARING EXAMINER: Where is this
13 going?

14 MS. HORAN: We'd like to have Mr. Colton
15 explain the significance of the numbers and then I
16 think you could make a decision from there.

17 THE HEARING EXAMINER: Do you know --

18 MS. HORAN: Sure.

19 THE HEARING EXAMINER: Do you happen to
20 know?

21 MS. HORAN: Yes. I mean, he's going to
22 show what Dominion found about the potential for
23 refrigerators and then state whether there may be
24 similarities or differences to this case.

25 THE HEARING EXAMINER: I mean, their TRC

1 is going to be based on their rates, their avoided
2 cost of energy and capacity and all that, right?

3 I mean --

4 MS. HORAN: Could I ask the witness about
5 that before trying to move this as an exhibit?

6 THE HEARING EXAMINER: Yeah, I mean,
7 I'll -- I'll let you proceed, but let's not spend
8 a whole lot of time here.

9 MS. HORAN: Sure. I think this will be
10 quick.

11 BY MS. HORAN:

12 Q Is this an excerpt from Dominion's
13 potential study containing the tables you were
14 referring to?

15 A It is. I -- I will make this quick,
16 therefore. APCo has said that refrigerator --
17 Energy Star refrigerators are not cost-effective
18 and, therefore, they have stopped providing Energy
19 Star refrigerators.

20 The point of this exhibit is simply to
21 show not only that refrigerator recycling, as I
22 commented a minute ago, can be found to be highly
23 cost-effective but that the second refrigerator
24 recycling, which I talk about in my direct
25 testimony, was the third highest technical

1 potential for single-family homes and the -- the
2 seventh highest technical potential for low-income
3 single-family homes.

4 Moreover, the Dominion exhibit found that
5 when you look not at the technical potential but
6 at the economic potential, that the second
7 refrigerator recycling for single-family homes was
8 the highest economic potential and the second
9 refrigerator recycling for low-income
10 single-family homes was the third highest economic
11 potential.

12 So I think it is reasonable to compare
13 those two companies to assess the credulity or
14 credibility of an APCo assertion that it is not
15 cost-effective and that there is zero economic or
16 technical potential in its service territory.

17 THE HEARING EXAMINER: I think it's fair.
18 I mean, it doesn't go a whole lot farther than
19 that, but, yeah, it does go to your -- the point
20 you raised earlier.

21 Go ahead, Mr. Flavin.

22 MR. FLAVIN: Thank you, Your Honor. We
23 would just say to the extent this is admitted,
24 this exhibit is admitted, we'd just like to note
25 our -- respectively note our objection to this,

1 but I understand --

2 THE HEARING EXAMINER: Yeah, and I think
3 he can authenticate it; I think he already has.

4 Can you remind me what this document is
5 and where you got it from? You got the cover page
6 there?

7 THE WITNESS: This was from the -- the
8 DN- -- DNV report that was provided by -- provided
9 to the Commission by Dominion in its energy
10 savings docket.

11 THE HEARING EXAMINER: Okay. Other than
12 Mr. Flavin, any objection to the admission of this
13 document?

14 MR. FLAVIN: (No audible response.)

15 THE HEARING EXAMINER: All right. Your
16 objection is noted. It will be admitted as
17 Exhibit 12.

18 (Exhibit No. 12 was marked and admitted
19 into evidence.)

20 BY MS. HORAN:

21 Q And, Mr. Colton, could you just quickly
22 show us which lines we should look at that would
23 be helpful here?

24 THE HEARING EXAMINER: I followed his
25 testimony. Do we need to -- do we need to keep

1 going on that?

2 MS. HORAN: Oh. Thank you, Your Honor. I
3 can move on.

4 BY MS. HORAN:

5 Q Now, would you, please, refer to
6 Ms. Stafford's rebuttal testimony on pages five
7 and six. This is regarding the number of
8 low-income customers that APCo serves.

9 How do you respond?

10 A Unfortunately, Ms. Stafford doesn't
11 actually respond to my direct testimony regarding
12 the inadequacy of the number of low-income
13 customers served each year through the Company's
14 energy-efficiency programs.

15 Instead of responding to my testimony, the
16 points of my testimony, she discusses working with
17 Community Housing Partners, CHP, to implement the
18 Company's low-income programs and to determine the
19 low-income program budget. She notes that CHP is
20 the agency that also implements the state
21 weatherization assistance program, which is called
22 WAP, W-A-P. Ms. Stafford states that working with
23 CHP to determine budgets for the low-income
24 programs, quote, allows CHP to maximize to the
25 extent reasonable all available funding sources,

1 end quote.

2 Interestingly, Ms. Stafford fails to
3 acknowledge that CHP could better implement
4 programs and serve more low-income customers if it
5 were allocated a larger budget.

6 The Virginia Community Action agencies
7 have historically demonstrated the ability to ramp
8 up their production when additional funds have
9 been provided. Consider information from the
10 National Association of State Community Service
11 Programs, which is the national association of WAP
12 service providers, contained in the 2015 and 2022
13 annual WAP funding reports published by the
14 National Association of State Community Services
15 Programs.

16 MS. HORAN: And I have an excerpt from
17 those reports to circulate as a potential exhibit.

18 THE HEARING EXAMINER: All right. Let's
19 mark -- is it a package of documents?

20 MS. HORAN: Yes, it's -- there's two
21 different packets, but I think collectively should
22 be one exhibit.

23 THE HEARING EXAMINER: Okay. Yeah,
24 whatever you think makes sense from a presentation
25 standpoint, go ahead and circulate them both. All

1 right. There are two documents being circulated,
2 first one, the cover page says, Weatherization
3 Assistance Program Funding Survey DY2015, and the
4 second, which has a table on the first page,
5 Table 2, DOE WAP funding 2014 to 2022,
6 collectively mark these Exhibit 13.

7 (Exhibit No. 13 was marked for
8 identification.)

9 BY MS. HORAN:

10 Q Mr. Colton, are these excerpts from the
11 reports you were referring to?

12 A They are.

13 Q And could you point us to which pages we
14 should be looking at?

15 A Rather than looking at pages, let's look
16 at tables.

17 The table on the left, you can see it's
18 labeled Table 4, and then if one goes down to
19 Virginia, Table 4 shows that Virginia's federal
20 Department of Energy weatherization increased --
21 assistance increased from \$3,997,999 in fiscal
22 year 2008 to \$8,025,937 in fiscal year 2009, due
23 to federal economic incentive spending.

24 If we go to the next page, which is
25 Table 5, this provides -- you can see it says

1 Table 5, LIHEAP funding levels 2005 through 2015,
2 these are the LIHEAP dollars that are provided for
3 weatherization. And Table 5 shows that LIHEAP
4 spending on weatherization in Virginia increased
5 from \$6,554,754 in FY2008 to \$19,150,262 in FY2009
6 for the same reason, due to federal economic
7 incentive spending.

8 On the next page, you can see in the top
9 right, that this is from the 2020 -- the
10 corresponding 2022 funding report. Again, if you
11 go down and look at Virginia, we see that Virginia
12 DOE WAP funding increased from 4,743,147 in FY2019
13 to 7,824,205 in FY2021 before decreasing back to
14 roughly four point -- 5.5 million in FY2022.

15 The significance of this information is
16 simply that when provided additional funding, the
17 Virginia Community Action agencies, such as the
18 one that APCo referenced are indeed capable of
19 ramping up their capacity to deliver
20 energy-efficiency services. Existing budgets
21 aren't necessarily a limitation on the ability to
22 deliver energy-efficiency services to IAQ
23 customers.

24 MS. HORAN: Your Honor, I move for
25 admission of this -- these two packets together as

1 an exhibit.

2 THE HEARING EXAMINER: Any objection?

3 It's admitted as Exhibit 13.

4 (Exhibit No. 13 was marked and admitted
5 into evidence.)

6 BY MS. HORAN:

7 Q What do you conclude regarding CHP's
8 ability to implement energy-efficiency measures
9 for low-income customers?

10 A My conclusion is simply that existing
11 budgets are not necessarily an absolute limitation
12 on the ability of the community action agency,
13 such as CHP to deliver energy-efficiency services,
14 that budgets can be increased and the capacity of
15 the corresponding community action agency to
16 deliver services pursuant to those increased
17 budgets can increase as well.

18 Q Now, please refer to pages 8 through 9 of
19 Ms. Stafford's rebuttal testimony.

20 Do you have a response to her testimony
21 setting forth the budgets for IAQ efficiency
22 investments?

23 A Yes. At page 9 of her rebuttal,
24 Ms. Stafford argues that Table 5 in my direct
25 testimony does not accurately portray Appalachian

1 Power's low-income budgets for 2026 through 2028.
2 She presents different numbers.

3 However, I would note two things. First,
4 in its discovery request, set number two, number
5 four, the Sierra Club specifically asked
6 Appalachian Power to, quote, Please provide as a
7 percentage of the total residential budget by year
8 for the next three years, the specific budget
9 attributable to low-income single family and
10 low-income multifamily.

11 Their Company's response was, and I quote
12 in relevant part: While the Company has not
13 specifically calculated the percentage of the
14 total residential budget attributable by year for
15 the most recent three years of the Company's
16 low-income single family and low-income
17 multifamily programs. In addition, the Company
18 specifically stated that, quote, Budgets for both
19 programs for programs year 2025 through 2029 can
20 be found in the direct testimony of Paula
21 Catron -- I'm not sure if that's how you pronounce
22 that, and I apologize to Paula if I mispronounce
23 that -- in Case No. PUR-2023-00169.

24 She is correct that the Table 5 was
25 mislabeled as providing budgets for 2021 through

1 2025, and I've corrected that in my corrections
2 earlier. However, that correction has no impact
3 on any other part of my testimony. All of my
4 conclusions stand as I present them.

5 Q Now, please refer to page 6 of
6 Ms. Stafford's rebuttal testimony.

7 Ms. Stafford answers a question that
8 characterizes your testimony as recommending the
9 Company add externalities to the total resource
10 cost test.

11 Do you agree with the way this question
12 characterizes your testimony?

13 A No. It's not accurate to describe or to
14 characterize all other program benefits or all
15 other program impacts as quote/unquote
16 externalities.

17 Direct program benefits including
18 nonenergy benefits should be included in the TRC
19 test. But externalities and other program impacts
20 are not synonymous. They are not interchangeable.

21 Consider the impacts of energy efficiency
22 on generating the avoided costs associated with
23 nonpayment that I discuss in my direct testimony.
24 Avoided costs, such as reduced uncollectibles,
25 reduced working capital costs, reduced credit and

1 collection costs are all clearly not
2 externalities. They are direct cost reductions to
3 the utility as much as avoided energy and avoided
4 capacity costs are, and they should be included in
5 the TRC.

6 In Virginia, which now has a percentage of
7 income plan for its low-income customers, energy
8 efficiency generates particular avoided costs.
9 Under the PIPP, a customer's payment obligation is
10 capped as a designated percentage of income with
11 any revenue above that cap being billed to other
12 ratepayers.

13 Accordingly, under a PIPP, every dollar of
14 bill reduction that can be achieved through an
15 energy-efficiency investment would be a dollar of
16 savings to the utility and a dollar of savings to
17 other ratepayers that would not be considered
18 externalities.

19 Q How do you respond to Ms. Stafford's
20 statement that, quote, the Company does not agree
21 to the use of externalities?

22 A Well, as I just stated, it's inaccurate to
23 refer to other program impacts exclusively as
24 externalities, regardless of the semantics,
25 however. As I note in my direct testimony, it is

1 simply not possible to ignore the other program
2 impacts associated with energy efficiency.

3 What Ms. Stafford's approach does is to
4 include other program impacts but to assign them a
5 dollar value of \$0, and that assignment of a \$0
6 value is clearly in error.

7 The fact that the Commission should take
8 these impacts into account is evident from the
9 statutes enacted by the Virginia legislature.
10 Whether or not the Company agrees with the use of
11 other program impacts, the General Assembly has
12 linked the public interest to important non-price
13 criteria, such as assistance to low-income
14 customers, environmental protection, and economic
15 development.

16 We can see that in Virginia Code 56-585.1
17 A 5 c. And that statute specifically states that,
18 quote, in all relevant proceedings, the Commission
19 shall take into consideration, the goals of
20 economic development, energy efficiency, and
21 environmental protection in the Commonwealth.

22 Therefore, it is clear that the General
23 Assembly has determined that certain other program
24 impacts, such as assisting low-income customers,
25 promoting economic development, and protecting the

1 environment, are aspects of the public interest.

2 Q Does this complete your surrebuttal
3 testimony?

4 A It does.

5 MS. HORAN: Mr. Colton is available for
6 cross.

7 THE HEARING EXAMINER: Mr. Jaffe?

8 MR. JAFFE: No questions, Your Honor.

9 THE HEARING EXAMINER: Appalachian Voices?

10 MS. CLANCY: No questions.

11 THE HEARING EXAMINER: Consumer Counsel?

12 MR. BARTLEY: No questions.

13 THE HEARING EXAMINER: Staff?

14 MS. ADAMS: No questions, Your Honor.

15 THE HEARING EXAMINER: APCo?

16 MS. DE LAS CASAS: Yes, Your Honor.

17 CROSS-EXAMINATION

18 BY MS. DE LAS CASAS:

19 Q May it please the Commission, and good
20 afternoon.

21 Good afternoon, Mr. Colton. How are you?

22 A I'm good. Thank you.

23 Q Good. My name is Viktoriia De Las Casas.

24 I'm with the law firm Troutman Pepper Hamilton

25 Sanders, and I represent APCo in this proceeding.

1 Mr. Colton, I would like to refer you to
2 your direct testimony on page 6, and starting at
3 line 6, you state that: "APCo filing complies
4 neither with Virginia statutes nor prior
5 Commission orders."

6 And do you see that? It's on page 6,
7 starting with line 3.

8 A I remember making that statement. I don't
9 see what you're reading, but I remember making
10 that statement, yes.

11 Q Let me put that page on the screen.

12 Do you see that starting with line 3?

13 A Yes.

14 Q On its face, "the APCo filing complies
15 neither with the Virginia statutes nor prior
16 Commission orders."

17 A Yes.

18 Q Okay. And then starting with line 9, you
19 state that: "The proposed net savings of
20 1.6 percent falls short of the minimum two percent
21 savings by 2025 required by statute and Commission
22 order, and does not propose additional savings
23 between 2026 and 2028."

24 Can you see that?

25 A I do see that.

1 Q Okay. Good.

2 And then we are here today -- and let me
3 change the pages.

4 And we are here today under this provision
5 of the statute, Virginia Code 56-596.2, and you
6 reference that section in your testimony. And in
7 B 1, you can see that the General Assembly set the
8 total annual energy savings targets for APCo,
9 which is a Phase I utility, for years 2022 and
10 2025 -- I'll have to move this for you --

11 A Yes.

12 Q Which are set at two percent for year
13 2025?

14 A And your question is do I agree what the
15 statute says?

16 Yes, I agree that's what the statute says.

17 Q Thank you.

18 And we are here under this provision,
19 Section B 3 of the statute; is that right?

20 A Yes.

21 Q Okay. And this provision directs the
22 Commission to set the targets for years 2026
23 through 2028; is that correct?

24 A Yes.

25 Q Okay. And you agree with me that this

1 section doesn't provide a specific number or range
2 for which the Commission should set the targets
3 for those years; is that right?

4 A I agree with that, yes.

5 Q Okay. And there's --

6 A Your question is this section doesn't set
7 a specific number?

8 Q Yes.

9 A Yes, I agree with that.

10 Q Okay. And also looking at the same
11 Section B 3, you agree that it does not mandate
12 that the Commission set targets that are going to
13 exceed targets set for year 2025; do you agree
14 with that?

15 A I agree that this particular section does
16 not state that, yes.

17 Q Okay. And you also agree that this
18 section does not preclude the Commission to set
19 targets equal or lower than targets set for year
20 2025?

21 A I agree that the language in this specific
22 section does not address that, yes.

23 Q Okay. Good. I wanted to briefly touch on
24 your statements about the 15 percent requirement.
25 Okay. And this is Section 1 A. And, again, in

1 your testimony on the same page, on page six, and
2 I quote, you state that, on its face, the APCo
3 filing complies neither with Virginia statute nor
4 prior Commission orders. Appalachian Power is a
5 Phase I utility that has energy-efficiency savings
6 targets of no less than two percent of the
7 southern 19 sales in 2025.

8 And then you continue, in addition, the
9 Commission has held that the statutory savings
10 targets are to be based on net savings.

11 And then you continue, I quote, finally
12 there is a general requirement providing that at
13 least 15 percent of such proposed costs of
14 energy-efficiency programs shall be allocated to
15 programs designed to benefit low-income, elderly,
16 or disabled individuals or veterans.

17 And that was on page six of your
18 testimony.

19 And do you agree with me that APCo has met
20 this 15 percent target requirement, that at least
21 15 percent of proposed costs of energy-efficiency
22 programs shall be allocated to programs designed
23 to benefit low-income, elderly, or disabled
24 individuals or veterans?

25 A APCo's low-income spending exceeds

1 15 percent --

2 Q Yes. Do you --

3 A -- as I have stated both today and in my
4 direct testimony.

5 Q Okay. So you agree with that, thank you.
6 And then --

7 A No. I wasn't done with my answer.

8 Q Sure. Yep.

9 A You asked if it complied with the at least
10 15 percent. The at least sets the minimum
11 requirement. It doesn't set a ceiling. It sets a
12 floor. So the question in -- in addressing
13 whether APCo has complied with the at least
14 15 percent requirement is not whether it has
15 exceeded the floor, rather -- the question rather
16 is whether it has set a reasonable spending limit
17 above the floor. And my testimony indicates that
18 it clearly has not.

19 Q Mr. Colton, thank you.

20 My question is, based on the budget
21 numbers that are included in Figure 1 on -- of
22 page four of rebuttal testimony of Ms. Stafford,
23 the low-income budgets exceed 15 percent of the
24 total program budget, right?

25 A As a matter of arithmetic, yes. That --

1 Q Okay. Thank you.

2 A -- that is not compliant --

3 Q Thank you.

4 A -- with the statute.

5 THE HEARING EXAMINER: All right.
6 Everyone -- both of you-all just turn it down a
7 notch.

8 MS. DE LAS CASAS: Yes, that answers my
9 question, thank you.

10 BY MS. DE LAS CASAS:

11 Q Starting on page 55 of your direct
12 testimony -- do you have that?

13 A I do.

14 Q Thank you. On line ten, you recommend
15 that APCo's proposed non-low-income
16 energy-efficiency targets net to be set at no less
17 than 175 percent of the targets proposed in the
18 Company's filing.

19 Do you see that statement?

20 A I do.

21 Q Okay. And then turning to page 56, and
22 that is on line 15, you state that APCo should be
23 directed to increase its savings goals for
24 low-income households.

25 Do you see that?

1 A I do.

2 Q Okay. And do you agree with me that it
3 would cost more than the Company's current
4 approved budgets to implement and achieve those
5 increased savings targets that you propose?

6 A Yes.

7 Q And you didn't provide any estimates for
8 the additional costs that are necessary to achieve
9 these increased targets that you propose?

10 A That's correct, I did not.

11 Q We talked about the recycling --
12 refrigerator recycling program.

13 Do you have experience with
14 energy-efficiency refrigerator recycling programs
15 in APCo's service territory?

16 A No, I do not.

17 MS. DE LAS CASAS: I don't have any
18 further questions. Thank you.

19 THE HEARING EXAMINER: Did you look at --
20 my understanding of the testimony is that APCo has
21 offered some type of appliance -- that APCo has
22 offered some type of appliance refrigerator
23 recycling in the past or currently, I thought the
24 testimony was it hasn't worked out for them
25 essentially.

241110101

1 Did you -- am I recalling that correctly?

2 THE WITNESS: The rebuttal testimony I
3 believe stated that they have offered Energy Star
4 refrigerator replacements in the past and they
5 have found it not to be cost-effective.

6 THE HEARING EXAMINER: Did you --

7 THE WITNESS: And, therefore --

8 THE HEARING EXAMINER: I'm sorry. Go
9 ahead, I interrupted you.

10 THE WITNESS: And, therefore, have
11 proposed to -- to end that part of their program.

12 THE HEARING EXAMINER: Okay. I mean, did
13 you look at their EM&V results associated with
14 that particular program they were referencing?

15 THE WITNESS: I -- I did not. What I -- I
16 did not.

17 THE HEARING EXAMINER: Okay.

18 THE WITNESS: But I did look at what they
19 do and don't include in their cost-benefit
20 analysis and --

21 THE HEARING EXAMINER: I understand your
22 testimony on that.

23 THE WITNESS: Yes. May I -- I don't know
24 if this is -- tell me if I'm --

25 THE HEARING EXAMINER: Is it anything new?

1 No, go ahead. Is it something new or are you just
2 kind of circling back and defending your prior
3 positions?

4 THE WITNESS: No, I'm circling back. I'm
5 circling back.

6 THE HEARING OFFICER: Yeah --

7 THE WITNESS: Okay.

8 THE HEARING EXAMINER: -- your testimony
9 has been clear on where you need to qualify
10 things. It's very clear.

11 So any redirect?

12 MS. HORAN: No redirect, Your Honor.

13 THE HEARING EXAMINER: All right. Thank
14 you again for your testimony.

15 THE WITNESS: Thank you.

16 THE HEARING EXAMINER: All right. It's
17 12:47. Good time for a lunch break?

18 Okay. We have one Staff witness, two
19 rebuttal witnesses. Does an hour work? Come back
20 at 1:45?

21 All right. We'll be in recess until then.

22 (A luncheon recess was taken.)

23 THE HEARING EXAMINER: All right.

24 Anything we need to discuss before we call the
25 Staff witness?

1 MR. ZIELINSKI: Your Honor, we have that
2 missing -- oh, I'm sorry.

3 MR. FLAVIN: Go ahead.

4 MR. ZIELINSKI: We have that missing page
5 from Mr. Collier's testimony if you'd like me
6 to --

7 THE HEARING EXAMINER: That would be
8 great, yeah, if you could go ahead and circulate
9 that.

10 And, Mr. Flavin?

11 MR. FLAVIN: Yes, Your Honor. Just a very
12 quick question. With the Company's rebuttal case,
13 if no one else has any objections, we were hoping
14 that Mr. Diebel could go first before Ms. Stafford
15 because I believe he has to catch a flight later,
16 so if no one has any objections, we'd appreciate
17 having Mr. Diebel go first when it's the Company's
18 turn.

19 THE HEARING EXAMINER: I think we can
20 accommodate that.

21 MR. FLAVIN: Thank you.

22 THE HEARING EXAMINER: Thank you.

23 And thank you, Mr. Zielinski, for
24 circulating the complete response to 5-42.

25 MR. ZIELINSKI: Your Honor, Staff asks

1 that Mr. Collier take the stand, please.

2 OLIVER COLLIER, called as a witness,
3 having been first duly sworn, was examined and
4 testified as follows:

5 DIRECT EXAMINATION

6 BY MR. ZIELINSKI:

7 Q Mr. Collier, can you, please, state your
8 name and position with the Commission.

9 A My name is Oliver C. Collier, and I'm a
10 PUR analyst with the Commission's Division of
11 Public Utility Regulation.

12 Q Do you have with you a document consisting
13 of A1 page summary, 35 pages of questions and
14 answers, one attachment and one appendix
15 collectively entitled the prefiled testimony of
16 Oliver C. Collier filed on October 7th, 2024?

17 A Yes, I do.

18 Q Was this document prepared by you or under
19 your supervision?

20 A Yes, it was.

21 Q Do you have any corrections or revisions
22 to your testimony?

23 A No, I do not.

24 Q If asked the same questions today, would
25 your answers be the same or substantially the

1 same?

2 A Yes.

3 MR. ZIELINSKI: Your Honor, Staff requests
4 that Mr. Collier's testimony, which was filed in
5 public version only be marked as an exhibit and
6 admitted into the record, subject to cross.

7 THE HEARING EXAMINER: All right. And
8 let's incorporate the full discovery response with
9 that.

10 Any objection?

11 It's admitted as Exhibit 14, subject to
12 cross.

13 (Exhibit No. 14 was marked and admitted
14 into evidence.)

15 BY MR. ZIELINSKI:

16 Q All right. Mr. Collier, have you reviewed
17 the Company's rebuttal testimony in this case?

18 A Yes, I have. And I would like to respond
19 to several points made therein.

20 I would also note for the record that for
21 anything to which I do not respond to in
22 surrebuttal here today, I stand by the conclusions
23 drawn and recommendations made in my prefiled
24 direct testimony.

25 Q Pages seven and eight of your rebuttal,

1 Company Witness Stafford states that you suggest
2 that the Commission direct the Company to, quote,
3 work with customers who submit opt-out
4 certifications to obtain information to further
5 evaluate the energy savings they are claiming, end
6 quote.

7 Is this an accurate characterization of
8 your testimony?

9 A No. As stated on lines 10 to 15 of page
10 23 of my prefiled testimony, quote, options the
11 Company may wish to consider include having
12 conversations with APCo's largest large general
13 service, or LGS, opt-out customers to determine
14 the customers' savings and average measure life
15 for the upcoming calendar years, or creating a
16 weighted average of measure lives of the Company's
17 programs and measures as a proxy value and
18 applying that weighted average to the reported LGS
19 opt-out customer measures, end quote.

20 Q Company Witness Stafford suggests on pages
21 7 and 8 that: A further evaluation of the energy
22 savings of APCo's opt-out customers could require
23 significant additional costs, ultimately borne by
24 the Company's Virginia customers.

25 Do you have any comment?

1 A Yes. Staff acknowledges that requiring
2 the Company to perform more analysis may incur
3 additional costs. However, Staff also notes that
4 there are less intensive options that the Company
5 may wish to also consider, one of which I will
6 discuss in a moment.

7 Furthermore, Staff would also like to note
8 that it is not advocating for the Company to
9 verify and validate LGS customer savings. Staff
10 is simply asking the Company to utilize the
11 information at its disposal to improve upon its
12 short-term forecast of energy savings. This is of
13 particular concern to Staff because opt-out
14 customer savings as reported by the Company
15 represent approximately 37 percent of the
16 Company's total net energy savings reported in
17 2023.

18 Q Company Witness Diebel includes discussion
19 on page 6 of his rebuttal testimony on the
20 Company's ability to validate the energy savings
21 reported by LGS opt-out customers. He states,
22 quote, There's no requirement compelling LGS
23 opt-out customers to provide data that would
24 enable the Company to perform any verification or
25 validation of the accuracy of their reported

1 savings.

2 Do you have any comment?

3 A Yes. Staff notes that Virginia
4 Administrative Code Section 20VAC 5-350-30C, which
5 governs the requirements for exemption for LGS
6 opt-out customers, directs LGS customers to file
7 information with the company and the Commission's
8 Division of Public Utility and Regulation on the
9 specific measures and measure life expectancy
10 implemented by those customers.

11 Staff additionally notes that Code
12 Section 56-585.1 A 5 c states, quote, the notice
13 of nonparticipation by a large general service
14 customer shall be for the duration of the service
15 life of the customers' energy-efficiency measures.
16 End of quote.

17 While the Company may not be able to
18 validate the accuracy of the LGS customers' report
19 savings, the Company can use the data provided by
20 its LGS customers to forecast future savings for
21 these customers as energy-efficiency actions.

22 In other words, the Company and Staff
23 receive information provided by its LGS opt-out
24 customers in their initial certifications, which
25 include information on measures and measure life,

1 the Company could utilize more of this information
2 in its energy-savings forecasting for LGS opt-out
3 customers.

4 Q Does that conclude your testimony?

5 A Yes, it does.

6 MR. ZIELINSKI: Your Honor, the witness is
7 available for cross.

8 THE HEARING EXAMINER: VAEEC.

9 MR. JAFFE: Thank you, Your Honor.

10 THE HEARING EXAMINER: Which acronym do
11 y'all prefer? The VA or without the A?

12 MR. JAFFE: I think Ms. Harnish prefers
13 with the A.

14 THE HEARING EXAMINER: Okay.

15 MR. JAFFE: Just because it's easier for
16 me to -- I usually just say "Efficiency Council"
17 because then I'm not stumbling over letters.

18 CROSS-EXAMINATION

19 BY MR. JAFFE:

20 Q Good afternoon, Mr. Collier.

21 A Sorry. Good afternoon.

22 Q I wanted just to ask you about the
23 alternative options that Staff developed, which
24 are on page 35 of your prefiled testimony.

25 Do you recall those?

1 A You said page 35? And you've also got it
2 on the screen here?

3 Q Correct.

4 A That is correct.

5 Q And I have written in here on the side,
6 the percentage recommendations from Mr. Grevatt,
7 the Southern Environmental Law Center witness.

8 Do you recall his recommended targets?

9 A I did read his testimony, but I did not
10 investigate it as thoroughly as I did the
11 Company's.

12 Q Is it fair to say that the alternatives
13 that Staff developed, that some of those are less
14 ambitious than Mr. Grevatt's recommendations and
15 some are more ambitious? That if we were to look
16 at the percentages, for example, the C 2 target is
17 from -- the Staff alternative is more ambitious
18 than Mr. Grevatt's, whereas the A 1 target is less
19 ambitious than what Mr. Grevatt has posed; is that
20 correct?

21 A The alternative options that I provided in
22 my testimony do cover a range, which includes the
23 range of which Mr. Grevatt's testimony covered as
24 well, his proposal.

25 Q His falls in the middle there, somewhere

1 between your high and low?

2 A Depending on, yeah, depending on the
3 specific alternative option that Staff provided.

4 Q Now, Staff did not provide an alternative
5 option that is weaker than the Company's proposed
6 target; is that correct?

7 A Staff did not provide an alternative
8 option that was lower incrementally or at a
9 starting point lower than the Company's.

10 Q And is that because, as you state on page
11 34 of your testimony, that Staff is opposed to the
12 Company's proposed energy savings targets?

13 A Staff is opposed to the Company's proposed
14 savings targets, yes.

15 Q And that's because they are below both the
16 statutory target contained in the Code for
17 calendar year 2025 and below the Company's
18 projected savings for calendar year 2025?

19 A That is correct. Those are two of the
20 variables that Staff took into consideration when
21 coming up with that decision.

22 MR. JAFFE: No further questions, Your
23 Honor.

24 THE HEARING EXAMINER: Appalachian Voices?

25 MS. CLANCY: No questions, Your Honor.

1 THE HEARING EXAMINER: Sierra Club?
2 MR. JOHNS: No questions, Your Honor.
3 THE HEARING EXAMINER: Consumer Counsel?
4 MR. BARTLEY: No questions, Your Honor.
5 THE HEARING EXAMINER: APCo?
6 MR. FLAVIN: No questions, Your Honor.
7 THE HEARING EXAMINER: All right. Just a
8 couple. I appreciate your surrebuttal about the
9 opt-out customers because I was looking at the
10 statutory provision, too, and scratching my head a
11 little bit -- what information we were missing
12 potentially, but I want to make sure I'm clear
13 about who's getting what.
14 The initial -- can I just call it the
15 opt-out notice?
16 THE WITNESS: Yeah, the initial
17 certification is what I've been colloquially
18 referring to it as.
19 THE HEARING EXAMINER: So the initial
20 certification is provided to Staff and the
21 relevant utility; is that correct?
22 THE WITNESS: That is correct.
23 THE HEARING EXAMINER: And it includes
24 what data?
25 THE WITNESS: So Code Section -- or

1 sorry -- Administrative Code Section 20VA
2 C5-350-30C and Section C states: The notice of
3 nonparticipation shall certify the
4 energy-efficiency savings achieved from investment
5 in such programs in kilowatt-hours within the
6 prior five years as well as the specific measures
7 undertaken to achieve those savings and the life
8 expectancy of each measure.

9 So at the very least, you know, without
10 actually reviewing a specific initial
11 certification, the Code Section appears to Staff
12 to show that they are required to provide the
13 measures and measure life in addition to their
14 initial certification.

15 THE HEARING EXAMINER: Can you take that
16 information from the certification and tell when a
17 particular measure is estimated to end?

18 THE WITNESS: That is --

19 THE HEARING EXAMINER: Do you have a
20 starting point and an ending point?

21 THE WITNESS: So since the customer, LGS
22 opt-out customer, is required to provide measure
23 and measure lives, and they also subsequently
24 include that that information has been -- or those
25 measures have been installed within the last five

1 years, it is assumed that those -- the measure
2 lives would be incorporated in the annual
3 certification -- or sorry, the initial
4 certification, and that the measure lives would
5 correspond to measures when they end. So, if, you
6 know, say a measure was installed in 2018 and had
7 a ten-year useful life, it is assumed that in
8 the -- or sorry -- let me back up.

9 If it was started in 2018 and had a
10 ten-year useful life, it should be retired
11 essentially in 2028.

12 THE HEARING EXAMINER: So we'll say when
13 it needed to have -- needed to identify the
14 measures that were undertaken in the prior
15 five-year period, does the annual certification
16 indicate, like, specifically when that measure was
17 implemented, or does it not have that?

18 I just want to know, is there certainty on
19 the front end of that that you can then say, all
20 right, ten years from that is when we would expect
21 measure to have reached the 'end of its life?

22 THE WITNESS: I can't speak for the
23 individual customers, so I'm not entirely sure, to
24 answer your question. Whether or not, like, if
25 that initial year for that specific measure is

1 included in the data that is in the initial
2 certification, it's possible.

3 But like I said, Staff does have access to
4 this information, so it can look into whether or
5 not the specific measures have their starting date
6 included with that initial certification, but at
7 this moment, I'm not entirely sure.

8 THE HEARING EXAMINER: Yeah, I just want
9 to understand. And hopefully, if you don't know,
10 hopefully, the Company can address it on rebuttal,
11 and maybe we need to -- well, think about that
12 later, but, yeah, I just want to understand, can
13 the -- if the Commission decides, hey, you know,
14 we should be -- we should be counting for
15 something for folks who have opted in at some
16 point and for whatever reason decided they are --
17 I'm sorry -- they opted out and then have decided
18 that going forward they are not, if we're going to
19 somehow count those, do we have all the numbers we
20 need, or does that require -- are we missing
21 something? That's the question. I know it's a
22 rambling one, but...

23 THE WITNESS: So I would point back to the
24 Code for that when -- so as you've kind of pointed
25 out, there's both these initial certifications for

1 when a customer is opting to -- or opting out,
2 participating in the energy-efficiency programs,
3 and then there's annual certifications that they
4 are also required to provide to the Commission.
5 It is unclear exactly which one --

6 Let me back up. Sorry.

7 I want to point to 20VA C5-350-30C and D
8 again. "So it shall be the customer's sole
9 responsibility to ensure the energy savings
10 claimed in the customer's notice of participation,
11 nonparticipation meets the definition of measured
12 and verified as set forth in 56-576, and such
13 compliance shall be attested in the customer's
14 affidavit. The annual report shall include the
15 status of energy-efficiency measures and
16 operational changes included in the customer's
17 notice of nonparticipation."

18 So it's Staff's -- sorry, that was a few
19 sentences down and I just jumped around.

20 It's Staff's understanding that the annual
21 reports are for reflecting changes that have
22 occurred since the -- either the last annual
23 report or the last notice -- or the first notice
24 of nonparticipation because as 56-585.1 says, the
25 notice of nonparticipation by an LGS service

1 customer shall be for the duration of the service
2 life of the customers' EE measures.

3 Does that answer your question?

4 THE HEARING EXAMINER: It does, but how do
5 we get to a place, if it's for the life where one
6 year, APCo shows -- I forget what it was, 120000
7 megawatt-hours of opt-out customers and then the
8 next year, based on what's been filed it's down to
9 '28 or 29,000, how -- what's the sequence of
10 events that leads to that drop-off?

11 Is it a customer saying, I'm not
12 submitting my annual certification, or I'm
13 submitting it and I realize that I think I have
14 much lower savings than I had reflected in the
15 earlier one?

16 What's the sequence of events that's kind
17 of leading to that big drop-off in opt-out
18 customer savings in APCo's figures?

19 THE WITNESS: It may be best to clarify
20 with the company, but my understanding through
21 discovery is that the Company for 2024 did not
22 receive these annual certifications from customers
23 totaling the amount difference 2023 and 2024 for
24 the LGS opt-out customer savings. And it was
25 because they didn't receive these annual

1 certifications that they decided not to include
2 the value.

3 Now, as I've stated, 56-585.1 A 5 c says
4 that the notice of nonparticipation shall be for
5 the duration of the service life of the customers'
6 energy-efficiency measures. And since the service
7 life and the measures are indicated in the annual
8 certification -- or sorry, the initial
9 certification, the Company should be able to --
10 within reason, estimate or forecast LGS opt-out
11 customer savings in the short term.

12 THE HEARING EXAMINER: Can you speculate
13 -- and I know it's calling for speculation based
14 on what you said so far, but can you speculate on
15 why a customer would not submit annual
16 certifications?

17 THE WITNESS: As I stated, the Staff, our
18 kind of conclusion on this matter or the way we've
19 thought about it is that the annual certifications
20 again are for those changes, and so it's possible
21 that a company -- or sorry -- a customer, an LGS
22 opt-out customer is reading it similarly and that
23 they are only going to submit an annual
24 certification in the event that there is a major
25 change in their energy-efficiency measures.

1 THE HEARING EXAMINER: Are -- do you know
2 whether the customers who have submitted their
3 initial annual certification and potentially
4 others subsequent to that but then ceased
5 submitting annual certifications, are they still
6 -- are they not being charged for the rate
7 adjustment clause for the energy efficiency and
8 demand side measure programs? I mean, does it
9 affect that status at all?

10 THE WITNESS: Again, the Code says the
11 notice of nonparticipation should be for the
12 service life of the measures, so that being said,
13 as long as the customer has provided the measures
14 and measure life and attest to that via an
15 affidavit --

16 THE HEARING EXAMINER: You assume they've
17 still opted out from the --

18 THE WITNESS: Yeah, I would assume that
19 they're still opted out. I mean, in -- they would
20 more than likely be aware in their next utility
21 bill if they weren't anymore and hopefully whoever
22 is responsible for that is aware of what's going
23 on with their utility bill, but, yeah, according
24 to the Code, they should be opted out for as long
25 as the service life -- the measures and the

1 service life exist.

2 THE HEARING EXAMINER: All right. And
3 March 1 was the -- is the date when those annual
4 filings typically are due by regulation?

5 THE WITNESS: I believe so. It's March 1
6 for the notice of nonparticipation. Just off the
7 top of my head, I'm not exactly sure for the
8 annual certification.

9 THE HEARING EXAMINER: Okay. On page 18
10 and 19 --

11 THE WITNESS: Of my testimony?

12 THE HEARING EXAMINER: Yes, coming back to
13 your testimony, sorry, on page 19, line seven, you
14 refer to an average yearly savings growth of
15 approximately 0.45 percent between 2023 and 2025?

16 THE WITNESS: That is correct.

17 THE HEARING EXAMINER: Is that referring
18 back to -- is that the same figure that's in Table
19 3 on page 18, the second row from the bottom?

20 THE WITNESS: That is correct.

21 THE HEARING EXAMINER: And can you walk me
22 through what that -- what that number represents?
23 Are you taking --

24 THE WITNESS: I know I have the
25 calculations in my Excel and right now, I'm

1 struggling to -- yeah --

2 THE HEARING EXAMINER: Are you just taking
3 the 2025 bolded figure, subtracting the 2022
4 bolded figure and dividing by three?

5 THE WITNESS: I believe so. That -- that
6 seems to be -- yeah, the .4502 increase -- like,
7 an incremental increase over the year from 2022 to
8 2025 would be the -- to reach a 2.8661, which is
9 the projection that the Company provided for 2025.

10 THE HEARING EXAMINER: And the projection
11 is from the EM&V report; is that correct? Or is
12 that from discovery? Remind me.

13 THE WITNESS: That is from Staff's
14 discovery, number 01-03, that was I think,
15 Exhibit 9.

16 THE HEARING EXAMINER: So that growth from
17 2022 to 2025 that you're averaging here, that
18 excludes the opt-out customer savings because
19 those numbers between those two years are the
20 same; is that accurate?

21 THE WITNESS: The -- yes. So the 2025
22 value, which is based on that 414,205
23 megawatt-hours on the sixth -- fifth row down,
24 that doesn't incorporate similar LGS opt-out
25 projections that were in 2023, as you see on the

1 fourth row down, you have an increase of 28,289 to
2 129,000 -- 129,072 to 28,289 again. And so that
3 129,000 is a foundation, I guess, if you will, of
4 Staff's kind of LGS opt-out customer -- what we're
5 -- what we're discussing in my testimony.

6 THE HEARING EXAMINER: But the .45 percent
7 is -- I mean, that reflects no opt-out growth,
8 right?

9 THE WITNESS: Actually, technically it
10 reflects a decrease in opt-out growth.

11 THE HEARING EXAMINER: How so?

12 THE WITNESS: Well, as I mentioned, 2023
13 LGS opt-out customers are 129,000 megawatt-hours
14 and that decreases in the Company's projections in
15 2024 to 28,289 opt-out customers. So it's
16 technically a decrease based on the Company's 2023
17 values.

18 THE HEARING EXAMINER: Okay. If you use
19 2023 as the baseline, I see.

20 THE WITNESS: Right. And Staff discusses
21 a little bit later on in my testimony about
22 what their savings potential could be in 2025 if
23 the LGS opt-out customers' numbers are more
24 reflective of 2023 values. And that is, I believe
25 it's 3.56 percent.

1 THE HEARING EXAMINER: Yeah, page 19?
2 THE WITNESS: Yes, on the next page.
3 THE HEARING EXAMINER: All right. That's
4 all the questions I had for you.
5 Redirect?
6 MR. ZIELINSKI: None, Your Honor.
7 THE HEARING EXAMINER: All right. Thank
8 you for your testimony, sir.
9 THE WITNESS: Thank you.
10 MR. FLAVIN: Your Honor, we'd like to
11 recall David Diebel to the stand, please.
12 THE HEARING OFFICER: You're still under
13 oath from earlier.
14 THE WITNESS: Understood.
15 DAVID DIEBEL, recalled as a rebuttal
16 witness, having been previously duly sworn, was
17 examined and testified as follows:
18 DIRECT EXAMINATION (Reb.)
19 BY MR. FLAVIN:
20 Q Good afternoon, Mr. Diebel.
21 A Good afternoon.
22 Q Are you the same David S. Diebel that
23 testified this morning on behalf of the Company?
24 A I am.
25 Q Mr. Diebel, do you have with you a

1 document entitled the rebuttal testimony of
2 David S. Diebel, consisting of ten typed pages of
3 questions and answers and a one-page summary which
4 was filed in public version only in this
5 proceeding on October 21st, 2024?

6 A Yes.

7 Q Do you have any changes or additions to
8 that document?

9 A I do not.

10 Q If I asked you the questions appearing in
11 that document here today, would you provide the
12 same or substantially similar answers?

13 A Yes, I would.

14 Q Do you wish to sponsor that document as
15 your rebuttal testimony in this proceeding?

16 A Yes, I do.

17 MR. FLAVIN: Your Honor, I'd ask that
18 Mr. Diebel's rebuttal testimony in public version
19 only be marked for identification and admitted
20 into the record, subject to cross-examination.

21 THE HEARING EXAMINER: Any objection?

22 It's admitted as Exhibit 15, subject to
23 cross.

24 (Exhibit No. 15 was marked and admitted
25 into evidence.)

1 MR. FLAVIN: Thank you, Your Honor.

2 BY MR. FLAVIN:

3 Q Mr. Diebel, have you been in the room
4 today to hear some of the other witnesses testify?

5 A Yes.

6 Q And did you just hear Mr. Collier testify
7 on behalf of Staff?

8 A Yes.

9 Q And do you recall he was asking -- or he
10 was discussing the Company's concerns with the
11 large opt-out customers?

12 A Yes.

13 Q Could you -- could you, please, explain a
14 little bit more why the Company raised concerns
15 with the amount of energy-efficiency savings that
16 could come from large opt-out customers?

17 A Yes. It is my understanding that annually
18 LGS opt-out customers must provide a letter that
19 characterizes the energy savings achieved
20 applicable to the year for which the opt-out
21 status is being applied for.

22 Q And --

23 A And so it's not that there would be an
24 effective useful life associated with that that
25 would continue to characterize the savings for

1 that customer's opt-out savings beyond the initial
2 year.

3 Q And so, for example, when we were talking
4 about previously, when there was -- I think in
5 2023, the Company had a fairly significant amount
6 of opt-out savings it expected and there was a
7 significant decrease into 2024 and potentially
8 beyond, can you explain why that is?

9 A So at the time that the petition was
10 filed, the opt-out savings for years past 2022
11 were based on 2022 opt-out savings. Subsequent to
12 the petition being filed, I believe there's a
13 Staff request to provide an update of savings
14 values or projected savings based on ex-post 2023
15 results. And so values for 2023 were updated in
16 the table. That characterizes achieved and
17 targeted savings over the course of several years.

18 At the time that those updates were made,
19 opt-out savings applicable to years 2024 and
20 beyond were not changed based on the update
21 applicable to 2023. The idea being that that was
22 a large change in opt-out savings that may or may
23 not persist in the future.

24 Q And would the annual certifications that
25 those large opt-out customers are directed to file

1 each year, would that help provide the Company
2 with additional certainty about what types of
3 savings it can expect from its opt-out customers?

4 A Yes. Those annual reports would contain
5 the information on the savings that were
6 applicable for the given year.

7 Q Okay. Mr. Diebel, did you have any other
8 comments on any of the other live testimony that
9 you've heard today that you'd like to respond to?

10 If you don't, that's okay. I just wanted
11 to give you the opportunity --

12 A Not at this time. Thank you.

13 Q -- if there's anything else.

14 MR. FLAVIN: Your Honor, at this time,
15 Mr. Diebel is available for cross-examination.

16 THE HEARING EXAMINER: Efficiency Council?

17 MR. JAFFE: No questions, Your Honor.

18 THE HEARING EXAMINER: Appalachian Voices?

19 MS. CLANCY: No questions, Your Honor.

20 THE HEARING EXAMINER: Sierra Club?

21 CROSS-EXAMINATION (Reb.)

22 BY MR. JOHNS:

23 Q Yeah. I just had a brief question,
24 Mr. Diebel.

25 Looking at Section 3 of your rebuttal

1 testimony, this starts on page 9. You're
2 discussing this new NSPM-based approach that's
3 there's an ongoing proceeding over?

4 Do you see that part of your testimony?

5 A I do.

6 Q And I think you suggest in your testimony
7 and I think counsel for the Company in opening
8 statements today said that it could be that under
9 a new NSPM-based test that some of the programs
10 that are currently cost-effective would be knocked
11 out of cost-effectiveness.

12 Is that accurate?

13 A I think that that is possible.

14 Q And, honestly, as you admit in your
15 testimony, we really don't know what the test
16 that's going to emerge out of that proceeding is
17 going to be, but just assuming for the sake of
18 argument that it's very similar to the NSPM
19 articulation, could you give me an example of a
20 program that might be cost-effective under the
21 current framework but would be ineffective under
22 whatever changes we would see were we to apply the
23 NSPM?

24 A No, I can't. And I don't have a
25 particular estimate for the likelihood of it

1 taking that direction as opposed to the other
2 direction. I do think that there's uncertainty
3 related to the cost-effectiveness criteria that
4 will be applied in the future, including for
5 programs that have already been approved.

6 Q So are you -- can you say that there will
7 likely be more programs that will be
8 cost-effective? Again, I realize --

9 A No, no. I'm not saying that I find that
10 to be more likely than not, certainly.

11 Q Okay. And so you just don't have any
12 opinion either way as to, if we were to follow the
13 NSPM criteria, whether that would result in a
14 greater field of cost-effective programs or a
15 diminished field?

16 A Right. I understand that additional
17 benefits could be quantified and included in the
18 test. I think that it will be helpful when
19 there's clarity related to not just the costs and
20 benefits that are to be included in the test.
21 Also, if there is any additional direction related
22 to how those tests are to be applied. For
23 instance, whether they are to be applied at the
24 program level or would be applicable at some more
25 granular level including measure level.

1 Q Just based on your knowledge, though, of
2 the NSPM, you can't point to anything in that
3 manual that would suggest a change to the system
4 that would make it more restrictive as far as
5 cost-effectiveness?

6 A No, I don't have an example of that. I
7 understand that it is to some extent intended to
8 be a flexible framework to reflect the policy
9 perspectives of policymakers and stakeholders who
10 are engaged in developing a framework.

11 MR. JOHNS: Thank you, Mr. Diebel.

12 THE HEARING EXAMINER: Consumer Counsel?

13 MR. BARTLEY: No questions, Your Honor.

14 THE HEARING EXAMINER: Staff?

15 MR. ZIELINSKI: One question, Your Honor.

16 CROSS-EXAMINATION (Reb.)

17 BY MR. ZIELINSKI:

18 Q Mr. Diebel, is your understanding of the
19 opt-out provisions in the Code -- in the
20 Administrative Code, do they mean that LGS
21 customers are automatically opted out for the
22 entire useful life of the measure after that
23 initial certification, or do they still have to
24 file those annual updates every year of the
25 measure's useful life?

1 A Subject to check, my understanding is that
2 annual letters characterizing savings applicable
3 to a given year are required.

4 MR. ZIELINSKI: Okay. Thank you.

5 No more questions, Your Honor.

6 THE HEARING EXAMINER: And so is March 1st
7 the deadline, or is it a different -- are there
8 different deadlines for the annual -- I guess is
9 it annual recertification?

10 Is it March 1st, or is it -- do you know?

11 THE WITNESS: My recollection is that that
12 is March 1st.

13 THE HEARING EXAMINER: Okay. And the drop
14 from -- I know you discussed it during your
15 surrebuttal, but the drop from, was it 2023 to
16 2024, is that -- does that reflect some customers
17 missed or did not file?

18 THE WITNESS: No, it's not based on data
19 that we have yet. And so by March 1st of 2025,
20 we'll have in hand the data that would be
21 applicable to 2024.

22 THE HEARING EXAMINER: Oh, okay.

23 THE WITNESS: That is my understanding.

24 THE HEARING EXAMINER: So your position is
25 you're not making an assumption one way or the

1 other about whether there will be that
2 recertification filing; is that -- is that the
3 position?

4 It's uncertain whether or not we'll see
5 those figures in that upcoming filing?

6 THE WITNESS: Right. Or that there may be
7 different values contained in a report
8 characterizing annual savings.

9 THE HEARING EXAMINER: Okay. How many
10 customers are we talking here? I know we've got
11 to be a little careful, but how many folks have
12 opted out?

13 THE WITNESS: I'm recalling around 12
14 accounts, some of which may be associated with the
15 same entity.

16 THE HEARING EXAMINER: Yeah, I just wanted
17 a ballpark.

18 And so have those customers or those
19 accounts, have they been making their annual
20 filings over the last couple of years?

21 THE WITNESS: That's my recollection, yes.

22 THE HEARING EXAMINER: Okay.

23 THE WITNESS: And so my recollection, for
24 instance, is that savings changed for a particular
25 customer among the opt-out customers, and that the

1 annual savings value increased dramatically.

2 THE HEARING EXAMINER: That's the -- from
3 29 up to 120?

4 THE WITNESS: That accounts for the large
5 majority of that incremental change.

6 THE HEARING EXAMINER: Can that reflect
7 additional measures undertaken by an opt-out
8 customer subsequent to their initial
9 certification?

10 THE WITNESS: It is possible.

11 THE HEARING EXAMINER: All right.

12 Redirect?

13 MR. FLAVIN: No questions, Your Honor.

14 THE HEARING EXAMINER: All right. Thank
15 you for your testimony, sir.

16 THE WITNESS: Thank you.

17 MR. FLAVIN: Your Honor, can we please
18 recall Tammy Stafford.

19 THE HEARING EXAMINER: And you're still
20 under oath as well.

21 TAMMY C. STAFFORD, recalled as a rebuttal
22 witness, having been previously duly sworn, was
23 examined and testified as follows:

24 DIRECT EXAMINATION (Reb.)

25 BY MR. FLAVIN:

241110102

1 Q Good afternoon, Ms. Stafford.

2 A Good afternoon.

3 Q Are you the same Tammy C. Stafford that
4 testified this morning on behalf of the Company?

5 A I am.

6 Q And, Ms. Stafford, do you have with you a
7 document entitled the rebuttal testimony of
8 Tammy C. Stafford consisting of ten typed pages of
9 questions and answers and a one-page summary,
10 which was filed in public version only in this
11 proceeding on October 21st, 2024?

12 A I do.

13 Q Do you have any changes or additions to
14 that document?

15 A I do not.

16 Q If I asked you the questions appearing in
17 that document here today, would you provide the
18 same or substantially similar answers?

19 A Yes.

20 Q Do you wish to sponsor that document as
21 your rebuttal testimony in this proceeding?

22 A I do.

23 MR. FLAVIN: Your Honor, I'd ask that
24 Ms. Stafford's rebuttal testimony in public
25 version only be marked for identification and

241110103

1 admitted into the record, subject to
2 cross-examination.

3 THE HEARING EXAMINER: Any objection?

4 It's admitted as Exhibit 16, subject to
5 cross-examination.

6 (Exhibit No. 16 was marked and admitted
7 into evidence.)

8 BY MR. FLAVIN:

9 Q Ms. Stafford, have you been in the room
10 today to hear the testimony from the other
11 witnesses?

12 A I have.

13 Q Okay. And do you -- do you recall some
14 discussion about the Company's decision not to
15 conduct a market potential study to determine its
16 proposed energy-efficiency savings targets for
17 2026 to 2028?

18 A I do.

19 Q Would you like to respond to some of those
20 comments?

21 A Yes. So the Company in 2009 did do a
22 market potential study at the cost of about
23 \$260,000. It did not contain APCo or
24 Virginia-specific data. And as a result, the
25 Company has leaned more on implementation

1 contractors, evaluation contractors, and our
2 stakeholders to develop our programs because they
3 are the ones that are working on APCo-specific
4 territory with APCo-specific programs in Virginia
5 as well.

6 Q And the implementation contractors, I
7 believe there were two of them that the Company
8 relied upon to prepare its proposed cost estimates
9 for how much it would cost for the Company to
10 achieve an additional one percent in
11 energy-efficiency savings?

12 A Yes. That's correct.

13 Q And do those implementation contractors --
14 do they have experience with energy-efficiency
15 programs in APCo's Virginia service territory?

16 A Yes, they do.

17 Q Okay. And while we're talking here about
18 this -- I guess the cost estimate, did you hear
19 earlier today that there was some discussion about
20 the Company's cost estimates for what it would
21 take to increase the amount of energy-efficiency
22 savings?

23 A Yes, I did.

24 Q And do you have any comments that you'd
25 like to make on that?

1 A Yes. So we did not do an official scope
2 of work or contract work with these companies. It
3 was not contracted separately then, our existing
4 energy-efficiency programs, but we did provide
5 them guidance. We did provide them guidance as
6 far as what assumptions they could make in
7 providing that such that, you know, every program
8 that we have approved currently or we have
9 proposed will -- cannot affect anything from '27
10 or beyond at that -- well, it can't. What is in
11 effect currently could not affect anything from
12 '27 and beyond. So there -- all we can affect
13 really is '25 or '26 with any approved programs.

14 Anything that we want to -- wanted to
15 affect any targets that we have from '27 and on
16 would have to be in addition to and would have to
17 be filed, so they were working with that
18 assumption that it would be something that we
19 would include in our 2026 filing that could affect
20 from '27 on, that it could be existing programs,
21 it could be enhancements to existing programs or
22 new programs that would be implemented by the
23 Company.

24 It was also -- they were also told that
25 these were not -- they could look outside of the

1 stakeholder process. We have a stakeholder
2 process that we get input and feedback from, which
3 most of our implementation contractors participate
4 in, and so being a party to those discussions, we
5 told them they could look outside of
6 recommendations that were being made through that
7 stakeholder process and then we gave them the
8 guidance of one percent. And as we started this
9 process, it was one percent gross.

10 Q And you mentioned the stakeholder process
11 that the Company is currently going through?

12 A Uh-huh.

13 Q And that's looking at some potential new
14 programs for the future, right?

15 A That's right. We have a stakeholder
16 process we go through each year. We are already
17 starting for our next filing, which is March
18 of 2026. And we have worked through this year of
19 coming up with program recommendations. We
20 started with 44 program recommendations from our
21 stakeholders and have whittled that down to around
22 eight that will be presenting to them next week.

23 A lot of it was whittled down because it
24 was already an existing program, did not meet the
25 definition of energy-efficiency program, would be

1 more cost-effective of being a component of an
2 existing program rather than standing as a
3 stand-alone program.

4 So we whittled that down, and we'll talk
5 to the stakeholders and get their buy-in, and then
6 we'd move forward to RFP those, along with
7 existing programs that we would include in our
8 2026 filing.

9 Q And are you personally familiar with that
10 stakeholder process?

11 A Yes. I attend them.

12 Q You attend them?

13 A Yes.

14 Q To your knowledge, are there any
15 representatives from Sierra Club or Appalachian
16 Voices participating in those stakeholder groups?

17 A Subject to check, but no, I do not believe
18 they do.

19 Q Okay. Another thing I just wanted to ask
20 you, Ms. Stafford, there was some discussion
21 earlier, if you'll remember, about the Company's
22 response to a Staff discussion -- or excuse me --
23 discovery request. It was marked as Exhibit 9.
24 There's a chart in there of various programs
25 and --

241110102

1 MR. FLAVIN: Your Honor, may I go up to
2 the podium and put this up for folks?

3 THE HEARING EXAMINER: Yes, please. That
4 would be helpful. I've got it, but others may
5 not.

6 BY MR. FLAVIN:

7 Q Okay. Does that look familiar to you,
8 Ms. Stafford?

9 A Yes.

10 Q Okay. And there were some discussion
11 earlier about how it may appear from this that the
12 Company's not planning to pursue certain programs
13 beyond 2026.

14 Would you like to respond to that?

15 A Yes. What's included in this chart are
16 programs that we have approved or had proposed in
17 our part of our 2023 filing and further program
18 cycles. So we only included what was approved or
19 proposed as part of their 2023 filing on this.

20 And some of these programs, such as the
21 energy-efficiency kits or business energy
22 solutions, the current cycle ends at the end of
23 '26. And if we found that those are
24 cost-effective programs and we'll want to continue
25 them, then we will file them in 2026 with a 2027

1 start date.

2 Q And I believe you mentioned before when
3 the implementation contractors were trying to come
4 up with potential cost estimates to achieve that
5 one percent incremental savings, did you direct
6 them to consider the possibility that these
7 programs would be extended?

8 A Yes.

9 Q Okay. And, Ms. Stafford, was there
10 anything else, any other comments you heard this
11 morning or earlier this afternoon that you'd like
12 to respond to?

13 A Yes. I think as a -- kind of a
14 continuation to the chart you just showed, it's
15 just to make sure that it is clear that the
16 proposed kilowatt-hour savings that we show are
17 based on approved programs and it's the maximum
18 achieved level.

19 So we file -- when we file with the
20 Commission, we file our budgets and we file a
21 targeted kilowatt-hours. So as we prepare those
22 as we move forward, we always assume with the
23 assumptions that we spend a hundred percent of our
24 budget and we get a hundred percent of those
25 savings. And that is not always the case.

1 One example that was mentioned this
2 morning was our business energy solutions. It was
3 mentioned 41,000 megawatt-hours, that's gross, 36
4 million -- 36,000 megawatt-hours at net, and in
5 2023, we achieved 15,000 kilowatt-hours -- or
6 megawatt-hours net.

7 So those numbers that are -- that we have
8 shown are all at the maximum achievable level, and
9 we're not doing -- we're not achieving that at
10 this point in time.

11 Q And so that -- I think we've seen an
12 estimate that the Company is -- may be able to
13 achieve 2.87 percent savings relative to 2019
14 sales by the end of 2025, but that, to your point,
15 does that assume that the Company spends all of
16 its money and gets all of its savings?

17 A All of its savings, that's right. And
18 that there are no other factors that -- that come
19 into play, such as we've seen ice (phonetic) over
20 the past, you know, several years, how it's
21 affected their ability to collect to achieve
22 lighting savings. So there's no other federal
23 recommendations or guidelines or anything else
24 that would come up between now and the end of 2025
25 that would affect those savings.

1 Q Thank you.

2 Was there anything else that you'd like to
3 respond to at this point?

4 A No, there isn't.

5 MR. FLAVIN: Thank you.

6 Your Honor, Ms. Stafford is available for
7 cross.

8 THE HEARING EXAMINER: Efficiency Council?

9 CROSS-EXAMINATION (Reb.)

10 BY MR. JAFFE:

11 Q Good afternoon, Ms. Stafford.

12 A Good afternoon.

13 Q I'm Cale Jaffe, representing the Virginia
14 Energy Efficiency Council in this proceeding.

15 I want to start on page 7 of your rebuttal
16 testimony. You quote from Virginia Code Section
17 56-576, is that right, the large block quote on
18 page 7?

19 A Yes. I see that, yes.

20 Q You see that?

21 You're quoting that to reference the
22 existing cost-effectiveness test; is that right?

23 A That's correct.

24 Q And that's part of your critique of the
25 Energy Efficiency Council Witness Chelsea Harnish

1 and her discussion of the National Standard
2 Practice Manual Test; is that right?

3 A That's correct.

4 Q And that test is being developed, I think
5 because you also note, in an ongoing docket that
6 is PUR-2024-00120; is that correct?

7 A That's correct.

8 Q All right. And we -- the Commission is
9 required by September 30th, 2025, to have an order
10 and regulations coming out of that docket; is that
11 right?

12 A That's what I understand, yes.

13 Q So it may be somewhat uncertain right now,
14 but it won't be uncertain by the time the Company
15 proposes its 2026 set of efficiency programs; is
16 that correct?

17 A Based on a September of '25 date, then
18 that would be correct.

19 Q Okay. Now, the Company's progress --
20 well, before I get there, just to sort of clarify
21 so we're all on the same page, the old tests that
22 are currently in the Code, those have been in use
23 from the time that statute was enacted in 2020 and
24 will remain in use, I think, through 2028; is that
25 correct?

1 A I'm not sure the time frame. We read that
2 back through this morning, but we will continue to
3 use those tests until ordered otherwise.

4 Q Right. You said you would comply with
5 those tests --

6 A That's right.

7 Q And you will comply with the new tests
8 when they come out?

9 A That's correct.

10 Q Okay. And using the existing tests, the
11 Company was able to meet the 2022 target of a half
12 percent savings in 2022; is that right?

13 A That's correct.

14 Q And the Company's ramping up and
15 anticipates hitting the target of two percent in
16 2025; is that right?

17 A We're able to use all of our budget and
18 obtain all of our savings that we filed.

19 Q Correct me if I'm wrong, Ms. Stafford. If
20 you achieve all of the savings and all of the
21 budget, your forecast is to hit 2.8 percent
22 savings; is that correct?

23 A Subject to check, but yes, I believe
24 that's correct.

25 Q So if the 2025 target is a little bit less

1 than that at two percent, you've got some wiggle
2 room, correct?

3 A Yes.

4 Q Two is less than 2.87?

5 A Yes.

6 Q All right. So -- and I take it if the
7 General Assembly had come out of the gate and said
8 we want to get to two percent and had directed the
9 Company to hit two percent in 2022 right out of
10 the gate, that would have been much harder to
11 achieve than trying to ramp up to it by 2025; is
12 that right? Jumping straight to two percent would
13 be harder than getting to ramp to it by 2025?

14 A Yes. Yes.

15 Q So wouldn't the same also be true, when we
16 get to calendar year 2029, that if the Company is
17 required to hit the greatest level of savings
18 achievable in 2029, wouldn't it be easier for the
19 Company if we ramp up to that target as opposed to
20 starting programs, stopping programs, and then
21 having to take a big jump when we get to 2029?

22 A Yes. And that's what the Company has
23 always tried to do, we've tried to continually
24 ramp up. If you look back at our past several
25 filings, we increase our budgets at each filing,

1 propose new programs, and that's what we would
2 intend to continue doing.

3 MR. JAFFE: All right. One last area of
4 questioning, Your Honor.

5 BY MR. JAFFE:

6 Q On page 3 of your prefiled testimony, you
7 respond to Sierra Club Witness Colton and his
8 reference to the Company's progress towards a 2025
9 goal and the statute that references that 2025
10 goal; is that correct?

11 Do you recall that?

12 A Yes.

13 Q And you state that it's unclear why the
14 Sierra Club references that statute in the 2025
15 goal; is that right?

16 This is on page 3, line 7 of your prefiled
17 testimony. You say, and I quote, it is unclear
18 why Sierra Club Witness Colton is referencing 2025
19 in this regard.

20 Is that your testimony?

21 A It is, but it's referencing the fact that
22 the 1.6 net savings proposed by the Company
23 wouldn't start in 2025; it would start in 2026.

24 Q Right.

25 A And so that's the reference there, is just

1 making sure that it's clear that this would not --
2 the Company's recommendation would not start until
3 2026.

4 Q And it would be lower than the 2025 goal,
5 obviously?

6 A At the time we filed the petition, we were
7 looking at this from a gross savings standpoint.
8 Our EE DR case was still open, and the topic of
9 gross and net was a topic of discussion in that.
10 So we were looking at it, the study, from a gross
11 standpoint and applied a net to gross of
12 80 percent for net.

13 And as a result of that -- as a result of
14 that proceeding, it was then -- that two percent
15 that we had been reporting against and had been
16 viewing as gross was now net. And so it went from
17 what we had filed previously, what we had reported
18 previously as two percent gross, looking at that
19 to now that was a net number. So --

20 Q So let me be clear about this -- I don't
21 want to get too far off track -- the two percent
22 savings target that the Company achieved for 2022,
23 that was a net number? You-all hit two percent
24 net in 2022, correct? I mean, that's what I
25 believe the Commission approved.

1 A I would have to check that.

2 Q I'm sorry. I'm sorry. Not two percent.

3 Sorry. I misspoke.

4 You hit half a percent in 2022?

5 A We hit -- yes.

6 Q And you're on target to hit 2.87, granted
7 with various caveats and uncertainties, net by
8 2025?

9 A Yes.

10 Q Okay. And so 1.6 percent is obviously
11 lower than those numbers, than that number for
12 2025?

13 A Yes. But there's a lot of uncertainties
14 that, you know, we state in our petition, and that
15 is beyond just the ability to spend all of our
16 budget and to get all of our savings.

17 There are eight programs that are fairly
18 funded that are going to come into -- into effect
19 in 2025. We do not know how that's going to
20 affect our ability to get savings in some of our
21 programs. We continue to see regulations change.
22 We have seen a downturn in our CNI program due to
23 interest rates. So there are a lot of other
24 things that are concerns that we feel are valid
25 concerns that could reduce that even further.

1 Q Let me get back to the question, then.

2 So your critique, just so we're -- to
3 ground us again, with Mr. Colton, is he references
4 the statute that sets a 2025 target, and you're
5 saying you object to that, saying that doesn't
6 apply for 2026; is that correct?

7 Is that your testimony here?

8 A I think we were just reading back through
9 it. I think that that just is identifying that
10 the 1.6 would not start in 2025. It would start
11 in 2026 because these targets are being set for
12 '26 through '28.

13 Q Okay. Let me ask you this: Mr. Collier
14 in his testimony -- and he and I just talked about
15 this -- he also referenced 2025 and the statutory
16 target for that year of 2025 as a -- one factor in
17 why Staff was objecting to the Company's proposed
18 savings targets in this case.

19 Do you recall that?

20 Were you in the courtroom for that
21 exchange --

22 A Yes.

23 Q -- with Mr. Collier?

24 A Yes.

25 Q So do you have the same objection to his

1 testimony in referencing 2025 that you do to
2 Mr. Colton?

3 A They are referencing that we are wanting a
4 one point -- if we asked for a 1.6 savings target
5 to start in 2025, then yes. Ours was to say that
6 we were requesting 1.6 net starting for '26
7 through '28. That was our request.

8 Q So your objection, just to be clear, and
9 I'll try to be -- move this along, your objection
10 to referencing the 2025 target from the Code is
11 that it doesn't apply in 2026; is that correct?

12 A Well, targets have not been set. I'm not
13 sure that I'm understanding your question, but
14 we -- this is what this proceeding is, to set
15 targets for '26 through '28.

16 Q Right. You object to Mr. Colton's
17 testimony in referencing the 2025 statute and
18 target --

19 THE HEARING EXAMINER: It's the phrasing
20 he uses. He says it falls short of the minimum
21 2.0 percent. I mean, it's the wording.

22 MR. JAFFE: Thank you, Your Honor. And I
23 think that helps clarify here.

24 BY MR. JAFFE:

25 Q That -- your objection is that the 2025

1 target isn't the target for 2026. One is in the
2 statute, the other is to be set in this
3 proceeding; is that right?

4 A That's correct.

5 Q Okay. So do you imagine -- and this is
6 consistent with a critique you might have made of
7 Staff's testimony on this same point -- would the
8 General Assembly have set a statutory target for
9 2025 and then anticipated that we just then begin
10 to fall back from there, that that was our peak
11 and now, we just --

12 MR. FLAVIN: Your Honor, respectfully,
13 I'll object to that question because it's calling
14 for speculation of what the General Assembly's
15 intent may have been in setting those targets.
16 And, you know, fair point if you want to argue it
17 legally, but I don't think that's a question for
18 Ms. Stafford.

19 MR. JAFFE: I'll withdraw the question,
20 Your Honor.

21 No further questions.

22 THE HEARING EXAMINER: All right.

23 CROSS-EXAMINATION (Reb.)

24 BY MS. CLANCY:

25 Q Good afternoon, Ms. Stafford.

1 A Good afternoon.

2 Q Give me one second. Good afternoon. Emma
3 Clancy appearing on behalf of Appalachian Voices.

4 Can you hear me all right?

5 A I can, thank you.

6 Q Great. Now, I'd like to start with your
7 response to Mr. Grevatt's testimony, which is on
8 page 8, lines 12 through 18, where you state that
9 the Company currently plans to extend some or all
10 of its current EE programs as long as they remain
11 cost-effective.

12 So just backing up for a second, I'd like
13 to take one more look at this table, which has now
14 been admitted into the record as Exhibit 9. You
15 were just looking at this with counsel -- and this
16 was provided in response to Staff data request
17 1-3, correct?

18 And if we look down here at the projected
19 net energy savings, as you just discussed, four
20 programs -- BE kits, business energy solutions,
21 efficient products, and small business direct
22 install -- zero out beginning in 2027, correct, in
23 the Company's current projections?

24 A That's correct because we would have to
25 refile those for extension.

241110102

1 Q Right.

2 A We'd do that in 2026.

3 Q In 2026.

4 And so -- and that's because the Company
5 didn't seek approval to extend them in this most
6 recent efficiency filing in 2023, correct?

7 A That's right. The program cycle for those
8 programs right now are 2022 through 2026. And so
9 we only refiled for programs that were going to
10 end -- two programs that were going to end prior
11 to our next filing, the two low-income programs
12 are going to end in '25, so we actually reduced
13 the program cycle in the budgets for one year, and
14 then refiled them for '20 to extend to '27.

15 And then there was one program that we had
16 worked with our stakeholders to try to come up
17 with a moderate-income program, and we could not
18 find a cost-effective stand-alone program, and so
19 we wanted to include those measures for those
20 moderate-income customers, so we did file to
21 extend that program early. But the rest of them,
22 we will look at the cost-effectiveness of those
23 over the past four years. And if they look like
24 they are viable cost-effective options, we will
25 refile them.

1 Q Okay. I do want to talk about the timing
2 just a bit more, but before we move on from the
3 table, can you just confirm here that as the
4 Company's portfolio is currently approved, net
5 savings protections would drop from 68 million
6 kilowatt-hours to roughly 16.8 million
7 kilowatt-hours in the years between 2026 to 2027?

8 A If we -- only if we were to file no new or
9 extend existing programs in 2026.

10 Q Great.

11 So as you just explained, the Company --
12 does the -- I'm curious about the four programs
13 that we just looked at that zero out.

14 So are you confirming now that the Company
15 does intend to apply to extend those programs in a
16 2026 filing?

17 A If we are able to determine that those are
18 going to be cost-effective programs moving
19 forward. So we will include them in our RFP that
20 we will issue in early '25. And based on the
21 information we get from implementation contractors
22 and looking at past performance of the programs,
23 if we can find a cost-effective way to move those
24 and to extend those, then, yes, we would
25 anticipate on filing those in 2026.

1 Q And if APCo waits until 2026 to make the
2 decision and then apply to extend these programs'
3 budgets, wouldn't the approval timeline make it
4 challenging to operationalize those budgets prior
5 to January 1st, 2027, to avoid any type of
6 disruption to these four programs?

7 A No.

8 Q It would not?

9 A No. We could -- we can get them -- these
10 are existing programs. So the ability to -- they
11 are already in place. So it's just a continuation
12 of those programs.

13 Q Well, APCo has to seek budget approval
14 from the Commission to --

15 A Yes, but we will have that --

16 Q Excuse me.

17 A If we file in mid-March, we would have
18 that before the end of the year.

19 Q Okay. And has APCo considered the
20 possibility of trying to apply to extend those
21 programs earlier in 2025 to avoid any sort of
22 tight timing or budget disruptions to these
23 programs?

24 A No, because we have looked at it, and with
25 the time frame we felt that we could do that in

1 2026. Part of the reason that we wanted to wait
2 to 2026 is to be able to have more program data to
3 look at what the program needs to be moving
4 forward.

5 So if we file -- even in 2025, we're going
6 to have less program data. So if we wait until
7 2026, we'll have evaluated program data for '25 --
8 '22 through 25 that we'll be able to use and to
9 determine that if the program is going to
10 continue. It hasn't been cost-effective; what
11 changes need to be made to make it cost-effective
12 to be able to move it, and so we need as much
13 program data because some of the -- some of the
14 considerations like free ridership can change
15 significantly from year to year, so you don't want
16 to base your decisions on -- just on maybe one or
17 two program years, but you want to have the most
18 data that you can to be able to do that evaluation
19 to make sure that you're going to have a
20 cost-effective program moving forward.

21 Q So it sounds like you're saying APCo has
22 waived the risk of causing any disruption to these
23 programs and their related savings against the
24 benefit of having additional data for one year?

25 A But they are existing programs, so there

1 would not be a disruption. They are existing
2 programs that could continue on if approved by the
3 Commission. So there would not be a disruption to
4 the customers.

5 Q Okay. Well, let's change gears. I'd like
6 to turn now to page 4, lines 11 through 15 of your
7 rebuttal.

8 Now, you state here that the Company has
9 never seen a compelling reason to saddle customers
10 with the costs of a market potential study,
11 correct?

12 A Correct.

13 Q So fair to say the Company is concerned
14 about increasing or unnecessary costs to
15 customers, correct?

16 A That's correct.

17 Q Now, I want to pull up Figure 5 from
18 Witness Grevatt's testimony. And these are the
19 Company's proposed targets. This green line and
20 this blue line is its projections.

21 And you recognize that the Company would
22 be eligible for a bonus under its proposed targets
23 even if it significantly reduced its savings by
24 letting those four programs expire, do you?

25 A Can you repeat that?

1 Q Yeah, of course.

2 Do you recognize that -- let me back up a
3 second.

4 This blue line shows the Company's current
5 projections even with those four programs savings
6 expiring in 2027. So if the Company continues
7 programs -- which it sounds like it's planning to,
8 the projections would theoretically be even
9 higher.

10 Do you see that?

11 A Yes. Not necessarily because you have to
12 remember, this makes the assumption that we're
13 going to get a hundred percent of those savings
14 and spend a hundred percent of that budget and
15 that we don't have impacts from IRA and other
16 impacts. From IRA, the Inflation Reduction Act.

17 Q Right. Assuming that.

18 And this green line is the proposed
19 targets from the Company. So assuming -- making
20 all those assumptions, assuming that the Company,
21 you know, does achieve its current projections,
22 the Company would get a bonus for exceeding its
23 proposed savings targets in years 2026 through
24 2028, correct?

25 A According to -- if you look at this chart,

1 according to what he has on this chart, that would
2 be correct.

3 Q Okay. Now, has the Company estimated the
4 difference between its projections -- its
5 projections and its proposed target to calculate
6 what customers would have to pay as a bonus under
7 the Company's proposal?

8 A We have not done that, no.

9 Q Okay. And as we discussed earlier, if the
10 Company does -- if the Company, as you state,
11 files additional programs for approval, this
12 projections line could be even higher, so that
13 margin that the Company would be entitled to seek
14 a bonus on would be even greater, correct?

15 A Well, the margin is capped.

16 Q Okay.

17 A So --

18 Q Up to the cap?

19 A -- you could only get up to the capped
20 amount. So it's not, like, an endless pot of
21 money. It's capped at what we could earn.

22 Q It's capped. Okay.

23 Well, up to the capped margin could be
24 greater?

25 A Potentially, depending on program

241110102

1 performance and other factors.

2 Q Okay. So is the Company also concerned
3 about saddling customers with the costs of a bonus
4 when under the Company's proposal, companies could
5 be receiving less efficiency savings?

6 A The Company's always concerned about
7 affordability, and I think that's one of the
8 things that -- one of the reasons we ask for
9 implementation contractors to provide us with some
10 type of estimate of what it would cost because we
11 could see the cost for the programs, could be
12 substantial to the customers.

13 So anything that would -- any cost that
14 was part of our EE DR rider we would want to make
15 sure is affordable and the cost for the programs
16 to achieve very high or higher savings levels
17 could be substantially more than any margins that
18 we would earn.

19 Q Okay. So the Company's concerned about
20 the cost to customers from the bonus as well?

21 A Yes.

22 MS. CLANCY: Thank you.

23 THE HEARING EXAMINER: Sierra Club?

24 MR. JOHNS: Thank you, Your Honor.

25 CROSS-EXAMINATION (Reb.)

1 BY MR. JOHNS:

2 Q Hi, Ms. Stafford. Evan Johns, on behalf
3 of Sierra Club.

4 How are you this afternoon?

5 A Good. How are you?

6 Q Good. Good. I just have a couple of
7 questions.

8 You testify on page 6 of your rebuttal
9 that the Company doesn't agree currently with the
10 use of externalities in the California tests,
11 correct?

12 A It's our understanding that the
13 Commission -- and I believe it was part of the
14 2009 report, but that would be subject to check,
15 had indicated that we should apply the California
16 test as stated. And so based on that and that
17 being the rules that we fall under today, then we
18 would not include externalities.

19 Q That's helpful. I will return to that
20 2009 report in a minute.

21 But first, I just kind of wanted to pin
22 down exactly what you mean by "externalities"
23 there.

24 Now, by "externalities," are you referring
25 to costs that aren't -- or benefits that aren't

1 accruing to the three players generally looked at
2 in those California tests: The utility, the
3 participant, and then other ratepayers?

4 A Can you repeat that?

5 Q Sure. It was a convoluted question, I
6 acknowledge.

7 By "externalities," you're referring to
8 maybe benefits or costs that aren't being felt by
9 those three entities I just named, the utility,
10 customers, and the participant in the program or
11 measure?

12 A If I'm understanding your question
13 correctly, we would define -- I would define
14 externalities as any cost or benefits that are not
15 defined in those California tests.

16 Q And how -- what's your understanding of
17 how the California tests define cost and benefits?

18 A I don't have that with me, so I can't go
19 down the list, but as I understand it, there's a
20 list of cost and benefits that the Company should
21 consider, and those are the ones that we include
22 as part of our cost-benefit test.

23 Q I think -- were you in the courtroom
24 earlier today? There were some questions about
25 perhaps the savings that would be spread out

1 amongst ratepayers who aren't on the percentage of
2 income payment program or plan -- I forget -- the
3 PIPP plan.

4 A I was in the room, but I'm not familiar
5 with the PIPP program.

6 Q So you wouldn't be able to say whether or
7 not cost savings that are felt by other ratepayers
8 not in the PIPP program as a result of
9 energy-efficiency programs that help people in the
10 PIPP program, you couldn't say whether or not that
11 should be included in the California tests?

12 A Can you repeat that?

13 Q Sure. And I guess maybe the place to
14 start is that my understanding of the PIPP
15 program -- and if I'm wrong, I hope you'll correct
16 me -- is the costs above a certain threshold
17 that's set gets spread out amongst ratepayers who
18 aren't part of the PIPP program, right?

19 What a participant in the PIPP program
20 would otherwise pay, that extra amount above what
21 they are required to pay, that gets spread out
22 amongst other ratepayers?

23 A I do not know that to be a fact, but
24 generally speaking, I could see where that would
25 be a potential, yes.

1 Q And so then if we were to reduce the costs
2 that are getting spread out to the other
3 ratepayers by lowering the bills and the energy
4 usage of people on the PIPP program, is that, for
5 example, something that you think should be
6 considered in the California tests?

7 A As I mentioned, I would have to look at
8 what the inputs are to each California test to be
9 able to answer that, and I don't have that in
10 front of me.

11 Q Okay. Well, the reason I'm asking about
12 the PIPP program specifically is that, you know,
13 that is a Virginia-specific kind of program,
14 correct?

15 A Yes. And that would be something I would
16 think, as we go through this process, not part of
17 this proceeding, but part of the proceeding where
18 we're setting the cost-benefit, you know, model
19 forward, that that would be up for consideration
20 as part of that process because we're going
21 through that now and looking at those type of
22 items in determining if those are relevant to
23 include or not. And so I think it's more -- it's
24 more in line with that proceeding.

25 Q I think I understand. I'm really just

1 trying to be clear on exactly what the Company is
2 referring to when it talks about externalities.

3 Maybe -- let's take another example, for
4 instance.

5 Social cost of carbon, that is considered
6 in some cost-benefit analyses in Virginia; is that
7 your understanding?

8 A It may be in some. It is not in -- I
9 don't know what others include, but it is not
10 currently in ours.

11 Q Yeah. And so that would have effects that
12 are well beyond what the Company's service
13 territory are, who its customers are; is that
14 correct? Those are costs felt by other entities?

15 A Potentially, yes.

16 Q Okay. And you would recognize that there
17 are differences between, say, those costs and
18 maybe costs associated with -- well, let me put it
19 this way. Let me put it in terms of benefits.

20 We recognize that there are benefits for
21 avoiding social costs of carbon in Virginia as
22 well.

23 You would agree with me that those
24 benefits are different from the benefits that
25 might accrue in the PIPP scenario we were just

1 talking about?

2 A Potentially yes, I would say those could
3 be different.

4 Q Uh-huh.

5 You had mentioned a moment ago, the 2009
6 report by the Commission to the General Assembly.

7 Did you review that report in preparation
8 for your testimony?

9 A I did.

10 Q And you acknowledge that the parties in
11 the hearing that preceded that report, they gave
12 some differing recommendations on whether
13 externalities should be included in the California
14 tests, correct?

15 A Yes.

16 Q I guess to take your exact language here,
17 although some parties to the case argued that
18 externalities should be considered in the industry
19 standard California cost-benefit test, the
20 Commission chose not to address such
21 recommendations concerning externalities in its
22 report, correct?

23 A (No audible response.)

24 Q So if the Commission didn't address those,
25 it also didn't foreclose the consideration of

1 anything that could be called an externality,
2 correct?

3 A I'd say that could be correct.

4 Q And there's language in that report, too,
5 do you recall, where the Commission is stating
6 that the choice between tests could be considered
7 a policy decision which is embedded in the various
8 statutes governing the Commission?

9 Do you recall that language?

10 A Not right offhand, but...

11 Q Subject to check?

12 A Subject to check, yes.

13 Q And so -- also language in there saying
14 that the Commission's conclusions are based on the
15 assumption that there's no change in the statutory
16 framework that governs Commission proceedings.

17 Does that ring a bell as well?

18 A Subject to check.

19 Q So you could read this as the Commission
20 saying, hey, here's what we're able to figure out
21 based on the statutes that are governing us now,
22 but you, the General Assembly, you can let us know
23 if you think we should be taking a different
24 approach?

25 A You could determine that. But we have

1 been filing our programs for quite a few years,
2 and the subject of, you know, additional -- why we
3 haven't considered additional cost or benefits has
4 not really come up to the point to where -- you
5 know, we've done this every single time, the exact
6 same way, the exact same test using the -- you
7 know, using the same inputs, and that has not come
8 under question.

9 So while subject to check what you -- what
10 you read could be interpreted that way, there's
11 not -- I guess I would say, you know, we haven't
12 seen that pushed to do differently in our EE DR
13 cases.

14 Q You have seen, though, the General
15 Assembly, for example, requiring a report filed by
16 the Commission that looks at annual savings, looks
17 at net and gross energy and capacity savings, and
18 also looks at related emissions reductions,
19 correct?

20 A Subject to check, but yes.

21 Q And that was passed in 2020; is that
22 consistent with your understanding?

23 A Yes, subject to check, but yes.

24 Q And obviously, you're not here to give us
25 an encyclopedic rundown of all of the statutory

1 changes that have occurred since 2009, but you
2 would agree with me that we should take those into
3 consideration when we're interpreting what the
4 Commission says in the report?

5 MR. FLAVIN: Your Honor, respectfully, I'm
6 going to object here. I think, one, this is
7 starting to get a little further far afield from
8 Ms. Stafford's rebuttal testimony; and, two, to
9 the extent we're asking for -- asking her to
10 interpret the General Assembly's various acts and
11 laws, that's not appropriate for Ms. Stafford.

12 THE HEARING EXAMINER: Yeah, I think when
13 you said "when interpreting," I had to look right
14 there and see what Mr. Flavin had to say. So I --

15 MR. JOHNS: That's fine, Your Honor. I
16 will not press the point.

17 BY MR. JOHNS:

18 Q If I can ask you, Ms. Stafford, you had
19 mentioned that Sierra Club, subject to check, was
20 not participating in the stakeholder process?

21 A That would be subject to check, yes.

22 Q Okay. And so subject to check -- and,
23 honestly, I think that I can say --

24 A Yes.

25 Q -- we'd be interested in knowing if you're

1 able to check that.

2 A Oh, yes. We do have, and it was part of
3 our 2023 EE DR. Every person that is invited and
4 participates was included in that, and that's --
5 we can check from there if need be.

6 Q Excellent.

7 My question is also: Do you recall
8 whether the Company ever sent a notice of the
9 stakeholder process or an invitation to Sierra
10 Club for those proceedings?

11 A The Company does not do that. Our
12 stakeholder process is through an independent
13 monitor. And if you want to participate in our
14 EE stakeholder meetings, then you have to request
15 that from the independent monitor.

16 And so several years ago when that process
17 started, there was notifications sent out to
18 interested parties. And from that point in time,
19 any party that ever reaches out to me, I always
20 point them to the independent monitor to get
21 registered for those -- for those meetings. It's
22 open to any organization or individual that would
23 like to participate.

24 But we do not manage that list. It's done
25 by the independent monitor.

1 Q Understood.

2 And just for sake of clarity, this is not
3 the same stakeholder process that you refer to on
4 page 7, lines 23 through 24 of your testimony
5 that's been docketed under Case No. PUR-2024 --

6 A It is a different stakeholder group. Some
7 of the parties may be the same, but, no, it is two
8 separate stakeholder processes.

9 Q Okay. And is it your understanding that
10 Sierra Club is involved in that other stakeholder
11 process?

12 A In the one that's referred, the
13 2024-00120, it is my understanding that, yes, they
14 are involved in that process.

15 MR. JOHNS: All right. Great. Thank you,
16 Ms. Stafford.

17 THE WITNESS: Uh-huh.

18 THE HEARING EXAMINER: Consumer Counsel?

19 MR. BARTLEY: No questions, Your Honor.

20 THE HEARING EXAMINER: Staff?

21 CROSS-EXAMINATION (Reb.)

22 BY MR. ZIELINSKI:

23 Q Ms. Stafford, a few questions.

24 Did I hear correctly earlier that the
25 Company's position is that to hit that

241110192

1 2.87 percent savings target, that that's only
2 achievable under a certain set of ideal
3 circumstances?

4 A That's correct.

5 Q Okay. So then wouldn't it also be
6 reasonable for the Company to assume that
7 achieving or continuing to achieve the reported
8 LGS opt-out customer savings reported for calendar
9 year 2023 should be assumed as well if we're
10 talking about ideal circumstances?

11 A Not necessarily.

12 Q Why is that?

13 A Because we file our budgets and our
14 targets for a five-year period, and they are
15 approved by the Commission. And so the opt-out
16 customers are submitting an annual
17 recertification, so I would -- I would not agree
18 that it would be projected the same as the Company
19 programs.

20 Q But the deadline for that annual
21 certification, that's March 1st for the year,
22 correct?

23 A Subject to check.

24 Q Subject to check.

25 So that deadline hasn't passed yet, but

1 the Company is still projecting a drop, a major
2 drop-off from those LGS opt-out customers for
3 2025; is that correct?

4 A Yes, there was a projection in there, but,
5 as Mr. Diebel noted, it is not looking necessarily
6 at -- I'll just leave it at yes, we did leave some
7 projection in there.

8 Q Okay. But it was a projection based on
9 the deadline for that annual report having not yet
10 passed?

11 A That's my understanding.

12 MR. ZIELINSKI: Okay. All right. Thank
13 you, Your Honor.

14 THE HEARING EXAMINER: Exhibit 9, the
15 table that you were talking about earlier --

16 THE WITNESS: Okay.

17 THE HEARING EXAMINER: -- do you agree --
18 and I haven't looked at the spreadsheet yet, but
19 the electronic version of this has a tab, has
20 additional programs maybe that aren't currently
21 being implemented; is that --

22 THE WITNESS: I think it may have programs
23 that were implemented in the past that the Company
24 no longer has active in its portfolio.

25 THE HEARING EXAMINER: But they may

1 continue to have savings associated with them?

2 THE WITNESS: That's correct, they could
3 have measures that have savings.

4 THE HEARING EXAMINER: For those, I would
5 not think that those would have the optimistic
6 assumptions that you just mentioned because we
7 would know how many folks are participating in
8 them, we'd know how much money that's already been
9 spent. These are just kind of the tails of
10 programs, if you will.

11 THE WITNESS: That's correct.

12 THE HEARING EXAMINER: Is that fair?

13 THE WITNESS: That's correct.

14 THE HEARING EXAMINER: So these are from
15 a, what do you call it, a reliability standpoint
16 or just a methodology standpoint, these figures
17 would be different from when I go to look at the
18 figures in that tab; is that accurate?

19 THE WITNESS: For programs that have
20 already expired, then that should be the savings
21 that we see because, you know, we no longer have
22 any additional participation or savings. So it's
23 just these savings that are remaining in the life
24 of those measures, yes.

25 THE HEARING EXAMINER: I think it was your

1 rebuttal testimony that mentioned the
2 refrigerators as a stand-alone measure not being
3 cost-effective.

4 THE WITNESS: Right.

5 THE HEARING EXAMINER: Okay. Are they --
6 does the Company continue to -- looked like from
7 the EM&V report, they might be part of a bundle
8 that's offered through a program; is that
9 accurate?

10 THE WITNESS: It's part of our efficient
11 products program, so that's just one measure of a
12 whole variety of measures that are offered through
13 the program.

14 THE HEARING EXAMINER: And I didn't see
15 anything about a stand-alone --

16 THE WITNESS: There is no stand-alone
17 refrigerator program. It is part of an efficient
18 product, so it's just one measure.

19 THE HEARING EXAMINER: Did the Company
20 ever offer that and determine that it wasn't
21 cost-effective, or did you analyze it as a
22 stand-alone and determine that it wasn't
23 cost-effective?

24 THE WITNESS: So for -- and I just want to
25 make sure we're clear, because I think there's two

1 different things that are going on here.

2 THE HEARING EXAMINER: Okay.

3 THE WITNESS: We've never had a specific
4 Energy Star refrigerator program. It's always
5 been a measure of other programs or to have a
6 program that has one measure would be pretty cost
7 prohibitive.

8 THE HEARING EXAMINER: Right.

9 THE WITNESS: We did offer an appliance
10 recycling program, and I believe I talked a little
11 bit about it in my rebuttal testimony, that we
12 offered it. It struggled with cost-effectiveness,
13 and we ended up ending that program because of the
14 cost-effectiveness of the program.

15 THE HEARING EXAMINER: I see. It is two
16 different, now that I re-read your answer. Okay.

17 THE WITNESS: Yes.

18 THE HEARING EXAMINER: So that was a prior
19 program, the appliance recycling program?

20 THE WITNESS: Yes.

21 THE HEARING EXAMINER: Okay.

22 All right. Those are all the questions I
23 have.

24 Redirect?

25 MR. FLAVIN: Just very quickly, Your

1 Honor.

2 REDIRECT EXAMINATION (Reb.)

3 BY MR. FLAVIN:

4 Q Ms. Stafford, we've been talking a lot
5 about this -- the initially proposed 1.6 percent
6 target.

7 Does the Company have a position on any of
8 the Staff's maybe proposed scenarios that it
9 offered?

10 A Yes. So my rebuttal testimony, we
11 indicated that I think it's Proposal -- I have to
12 look at it, but I'm pretty sure it's A1, that we
13 would not be opposed to that.

14 Q Okay. And is it -- just for clarity, is
15 it your understanding that as part of this
16 particular proceeding, the Company is not
17 proposing any particular new or continuation of
18 any programs, correct?

19 A No, we are not.

20 Q Okay. And also, the Company is not
21 proposing, in the context of this proceeding, a
22 specific cost-effectiveness test that should be
23 used going forward, correct?

24 A No, we are not.

25 MR. FLAVIN: Okay. No more questions,

1 Your Honor.

2 THE HEARING EXAMINER: All right. Thank
3 you for your testimony.

4 THE WITNESS: Thank you.

5 THE HEARING EXAMINER: It's 3:23. Do we
6 want to take a break before closing arguments?

7 Is there anything else we need to take up
8 before potentially taking a break?

9 All right. Well, let's plan on coming
10 back at 3:40 and then commencing with closing
11 arguments.

12 (A recess was taken.)

13 THE HEARING EXAMINER: Welcome back.

14 Mr. Jaffe, feel free to use whichever
15 microphone you're more comfortable at. Same goes
16 for everyone else.

17 MR. JAFFE: Thank you, Your Honor.

18 May it please the Commission, Cale Jaffe,
19 on behalf of the Virginia Energy Efficiency
20 Council.

21 The purpose of this proceeding, of course,
22 is to consider the potential for energy savings in
23 APCo's service territory then set efficiency
24 targets for calendar years 2026 through 2028, but
25 also to set those targets with an eye to what's

1 coming next in 2029. I think that's clear from
2 the relevant statute, Virginia Code 56-596.2 as
3 amended.

4 And as I said this morning, it's our
5 position that the as-amended statute applies
6 because it references specific statutory years
7 that is a clear indication from the General
8 Assembly that, in setting the targets for those
9 years, you apply the statute as amended.

10 But frankly, even whether it applies or
11 not, it's still vital to look ahead to 2029
12 because of the factors influencing efficiency
13 targets for those years where the Commission may
14 be directed to set a very ambitious target to
15 achieve, in the words of the statute, the greatest
16 level of savings that are achievable. So we have
17 to look ahead to that 2029 target in setting the
18 greatest level of savings that will be achievable.

19 I think this is a commonsense reading of
20 the statute even before it was amended. As
21 Ms. Harnish notes in her prefiled testimony, the
22 American Council for an Energy-Efficient Economy
23 and their database backing up their scorecard,
24 they looked at the Virginia Clean Economy Act and
25 noted that it, quote, sets a process to strengthen

1 the energy-efficiency resource standard after
2 2025.

3 This hearing is that process to strengthen
4 the energy-efficiency resource standard after
5 2025. That's what we're supposed to be doing
6 here.

7 And the reason we want to focus on ramping
8 up and not just jumping to a high number in 2029
9 is precisely what Mr. Grevatt said here from the
10 witness stand, where he talked about the problem
11 of starting programs and then stopping programs,
12 how that leads to vendor confusion, customer
13 confusion, ultimately makes it harder to achieve
14 the targets or to achieve the targets at the
15 lowest possible cost.

16 There are other -- there was other witness
17 testimony presented over the course of the day,
18 again to support this idea of ramping up, not to
19 2029, ramping up to 2029 and not cratering for the
20 sort of intervening three years.

21 Company Witness Stafford on
22 cross-examination agreed that it's better from the
23 Company's perspective if programs ramp up
24 gradually, that that's how they plan; they don't
25 plan for a big jump, they plan for a gradual

1 increase over time.

2 Staff Witness Collier, I think it's
3 consistent with what he said as well, if you look
4 at page 34 of his testimony, where he references
5 the statutory target from 2025 in helping guide
6 the Commission in setting targets for 2026 and
7 then ramping up from there.

8 So all of that is to say I think there's a
9 clear direction and a clear support from the
10 testimony before the Commission to set targets for
11 this intervening three years, ramping up from 2025
12 up to a more ambitious target in 2029.

13 Now, to be sure, there are some
14 uncertainties that were brought forth during the
15 hearing today, and I want to respond to those.

16 I think the Hearing Examiner noted in
17 questions on Appalachian Power's direct testimony
18 some questions about sort of net-to-gross levels
19 and how those might differ from the EM&V reports
20 and the proposals in setting targets here, and I
21 would just note that Ms. Harnish, for the Virginia
22 Energy Efficiency Council, gets to that precise
23 point in her own testimony on pages 11 and 12.

24 Another issue that's come up today is the
25 question of cost; you know, is it going to be

1 unduly costly for customers to set a more
2 ambitious target.

3 I think Witness Grevatt addressed that
4 very clearly when he took the witness stand,
5 noting that costs are only passed on to customers
6 if the Commission finds that those programs are
7 cost-effective. So that it is not a question of
8 additional spending on efficiency programs, it's a
9 question of spending money in a different way
10 rather than spending it on market power purchases,
11 on fuel costs for gas plants, it's about spending
12 it on cost-effective efficiency programs.

13 The Hearing Examiner noted, and I think
14 this is an important point, that that may not
15 apply with full force to the income and
16 age-qualifying programs, which may not pass those
17 same cost-effectiveness tests. Of course, the
18 income and age-qualifying programs are designed to
19 achieve other public policy goals.

20 So to the extent that there is additional
21 money spent to provide a safety net for income and
22 age-qualifying customers, that's really a
23 different set of spending. I think the larger
24 point holds that it is cost-effective programs,
25 it's a question of spending it one way or another

1 way, not a question of additional spending.

2 And the last sort of uncertainty that has
3 come up that I want to address is the question of
4 the National Standard Practice Manual, which is
5 the focus of the SAVE Act of 2024 and an ongoing
6 proceeding in this Commission versus the
7 California Standard Practice Manual test that the
8 Commission has been using for many years now.

9 There's some important points that came
10 out during the hearing today that I think address
11 concerns about any uncertainties involving the
12 National Standard Practice Manual.

13 Company Witness Diebel agreed that that
14 test, the National Standard Practice Manual test,
15 is designed to include additional benefits that
16 aren't covered in some of the California Standard
17 Practice Manual tests.

18 He also noted that the National Standard
19 Practice Manual is intended to be a flexible
20 approach that is responsive to the policy goals of
21 the jurisdiction. That was his testimony,
22 flexible approach responsive to the policy goals
23 of the jurisdiction.

24 And Virginia Energy Efficiency Council
25 Witness Harnish says as much in her prefiled

1 testimony as well on pages 13 and 14 of her
2 testimony.

3 And I would note that the Virginia Energy
4 Efficiency Council supported the SAVE Act in the
5 General Assembly because of a belief that it would
6 lead to more savings, ramping up after 2025.

7 And so that then brings us, I think, to
8 looking at where the rubber meets the road and how
9 we set targets in this proceeding.

10 The Staff has provided a broad range of
11 alternatives that they've developed. I would note
12 that Staff Alternative B 2, boy 2, is roughly
13 similar to Mr. Grevatt's range, and then some of
14 the other alternatives fell below B 2 and
15 Mr. Grevatt, and some fall above B 2 and
16 Mr. Grevatt.

17 The Virginia Energy Efficiency Council
18 respectfully opposes APCo's proposed range as
19 included in its direct case and also opposes Staff
20 Scenario A1 because both of those targets, APCo's
21 direct case target and the A1 scenario, both of
22 those are below where the General Assembly has set
23 a target for 2025. And it is our position that
24 the targets that we set going forward are supposed
25 to mean something.

1 As I said in opening, this isn't an
2 everyone gets a trophy approach. The targets are
3 supposed to ramp up in a commonsense way from the
4 2025 target up to 2029 when we're hitting the
5 greatest level of savings achievable.

6 Thank you, Your Honor.

7 THE HEARING EXAMINER: Thank you.

8 MR. BENFORADO: Good afternoon, Your
9 Honor. Nate Benforado, on behalf of Appalachian
10 Voices.

11 I want to start by just setting the stage
12 on feasibility. I think that's been an important
13 component of what we've been talking about here,
14 and I'm going to take us back very briefly to
15 algebra, right?

16 There's not just one feasible number. You
17 know, if we were talking about something like a
18 maximum, maximum level of energy-efficiency
19 savings, cost-effective savings, I'm sure if we
20 were here in that proceeding, there would be a lot
21 of different opinions on what the maximum was, but
22 there's a single maximum.

23 Feasibility, there's not a single
24 feasibility number. There are many proposals that
25 could be feasible. And I mention that to frame

1 the issue that we're talking about, and I think
2 that makes it clear that there has to be something
3 more for the Commission to consider than just
4 feasibility. If feasibility was the only
5 consideration, we could set the target at zero and
6 go home. And I think there fundamentally has to
7 be more for the Commission to look at.

8 And we would submit, we should be looking
9 at the statutory standards that were set in the
10 Clean Economy Act from 2022 to 2025. What
11 trajectory did that set the Company on?

12 We should be looking at 2029. What
13 trajectory will the Company be required to follow
14 in 2029?

15 We should be looking at the bonus
16 provisions. There are bonus provisions for
17 meeting the energy-efficiency standard and
18 exceeding the energy-efficiency standard, and
19 also, there's the Commonwealth Clean Energy
20 policy, and that is an express policy to maximize
21 energy-efficiency savings.

22 So we need to look at more than just
23 feasibility. Feasibility is a necessary condition
24 here, but there are many feasible numbers. And so
25 for the Commission to decide what this target

1 should be, it needs to look at more.

2 Now, respectfully, we urge the Commission
3 to adopt Mr. Grevatt's proposed targets. And we
4 fundamentally believe those are feasible and, in
5 fact, at this point, I don't think there is
6 evidence in the record that the Company has
7 presented that they are not feasible.

8 I'm going to start with what the Company
9 has proposed. They have proposed a net total
10 energy savings target of 1.6 percent for every
11 single year, 2026, 2027, and 2028. That is lower
12 than the target that is already set by statute in
13 2025 and, of course, it's not even ramping up.
14 It's holding it steady.

15 So I want to understand what that number
16 is based on. Is it based on the actual Company's
17 performance? And I would submit, it's not. It's
18 untethered to their recent success.

19 The Company has actually had great success
20 with its energy-efficiency programs since the
21 Clean Economy Act was passed. They are on pace to
22 succeed the targets through 2025, according to
23 their own projections, and that's even after the
24 Commission issued its recent ruling that the
25 targets will be measured on a net basis.

1 But here, the Company essentially ignores
2 their actual performance and proposes
3 substantially lowering their target. So much so,
4 that in undisputed testimony, Mr. Grevatt -- and
5 this is Figure 5, which was shown before, but I'll
6 show it again -- Mr. Grevatt's analysis shows that
7 the Company will far exceed their own proposed
8 targets based on already approved programs.

9 You can see that. You know, it -- and, in
10 fact, Mr. Grevatt's analysis shows that the
11 Company could simply suspend its programs after
12 2025 and it would still hit the targets. That's
13 the orange line on this figure. They would still
14 exceed their targets if they essentially suspended
15 their programs after 2025, meaning that the
16 Company will be able to demand a bonus from its
17 customers for virtually no new work.

18 And we also heard from Company Witness
19 Stafford on rebuttal about these four programs
20 that -- beginning in 2027, 2028, have been zeroed
21 out. And we heard that if they are
22 cost-effective, the Company would intend to
23 propose those moving forward.

24 But for purposes of this proceeding, they
25 assumed those programs would be zero, they would

1 provide zero savings for 2027 and 2028, but the
2 Company has now said, if it's cost-effective, they
3 are going to propose those and they don't think
4 there's going to be any delay, which will mean
5 this blue line, this blue line here, that reflects
6 those four programs being zeroed out beginning in
7 2027, 2028.

8 So now if they propose those programs and
9 they are approved, well, this line is going to be
10 even higher, and they're going to have an even
11 wider margin, and that means more money from
12 customers.

13 So it's not based on their performance.
14 It's not really based on their actual plans or
15 their actual projections. Is it based on a
16 potential study? No.

17 The Company said they never wanted to
18 saddle their customers with that cost. But
19 apparently, they have no problem setting targets
20 so low they will essentially guarantee themselves
21 a bonus at their customer's expense.

22 Is it based on peer analysis? No. They
23 did not do any peer analysis. So it's unclear
24 what the Company's proposed level of savings is
25 really based on. It's not clear what the analysis

1 in evidence that actually supports dropping the
2 target to 1.6 percent is.

3 The numbers they have provided are
4 essentially a back-of-the-envelope budget
5 performed by two of their implementers that they
6 claim show increased savings will come at
7 increased expense.

8 First of all, this back-of-the-envelope
9 calculation, which didn't have a scope of work,
10 was done for free, should not be viewed as
11 credible. It lacks all the information and
12 documentation and support you need to understand
13 whether this was a reasonable calculation or not.

14 But even if it were, the calculation
15 doesn't tell you what is feasible. It doesn't
16 tell you what is ambitious, what an ambitious and
17 feasible savings target would be. It just
18 suggests the unsurprising proposition that for
19 more savings, there will be more expense.

20 In fact, it could actually be viewed as
21 evidence that there are quite a bit of feasible
22 savings that the Company is simply leaving on the
23 table with its incredibly low proposal.

24 So what the evidence has shown today is
25 that the Company's proposal is unsupported, that

1 it will be incredibly easy for the Company to
2 achieve and exceed, and that customers will be
3 forced to pay APCo a bonus for essentially no new
4 work.

5 Now, on this point, we heard from Company
6 Witness Stafford on rebuttal that the reason or
7 one of the reasons they have proposed targets so
8 low is that they are worried about uncertainty,
9 that they may not hit their projections.

10 Now, as a threshold matter, I would hope
11 the Company would agree that when they propose
12 these, when they sought approval to get money from
13 customers for these programs and they relied on
14 projections in supporting that petition, it was
15 reasonable at the time. I would hope that it was
16 that they did not submit something that was
17 unreasonable, that was an overly optimistic view
18 of what these programs could achieve.

19 But the issue we're dealing with now is
20 how to deal with that uncertainty. And the
21 Company's proposal is to make targets so low that
22 it will be virtually certain that they will
23 achieve them and virtually certain that customers
24 will be forced to pay that bonus. And I submit
25 that that's exactly backwards.

1 Shifting risk of underperformance away
2 from the utility that controls the performance on
3 to customers that have no control over the
4 performance is not what we should be doing.

5 The risk of underperformance should be on
6 the company itself that is in charge of these
7 programs, and that is why we should be setting
8 ambitious standards that drive the Commission to
9 follow through with its own projections.

10 And for that reason, we respectfully
11 request the Commission follow Mr. Grevatt's
12 approach. Since Appalachian Power has had so much
13 success in recent years, Mr. Grevatt proposes
14 continuing the success.

15 The Company has been achieving
16 approximately -- actually, more than one percent
17 net annual incremental savings, 1.2, 1.3 percent.
18 Mr. Grevatt actually lowers that slightly and
19 proposes one percent net annual incremental
20 savings and continuing this progress.

21 Based on this year-over-year net annual
22 incremental trajectory, Mr. Grevatt recommends net
23 total annual savings targets of 3.2 percent for
24 2026, 3.65 percent for 2027, and 4.5 percent for
25 2028.

1 This proposal keeps the current trajectory
2 going. The Company has had success, and this will
3 keep its momentum. It avoids the disruptive
4 problems of gaps in programs. Even short gaps can
5 cause problems with implementers, cause customer
6 confusion. It will carry us forward to the next
7 proceeding, 2029 to 2031, where we'll be setting
8 standards for those years.

9 And I'll note that the Company really has
10 not presented evidence to suggest that
11 Mr. Grevatt's proposal is not feasible. Again,
12 they have put forward this back-of-the-envelope
13 calculation that shows that costs will go up if
14 you set the savings target higher. But what they
15 have not said is that they can't hit Mr. Grevatt's
16 proposal. They have simply said that it's going
17 to be more expensive.

18 So in conclusion, it would make no sense
19 to essentially give the utility a pass for three
20 years, to squander their existing momentum, and
21 worst of all, to force customers to pay a bonus
22 while the utility stalls out on its
23 energy-efficiency programs.

24 And with that, I thank Your Honor for your
25 attention, and I appreciate the opportunity to

1 develop the record.

2 THE HEARING EXAMINER: Thank you.

3 MR. JOHNS: Thank you, Your Honor. Good
4 afternoon. Evan Johns, on behalf of Sierra Club.

5 Ms. Horan highlighted the important
6 aspects of our case this morning for the most
7 part. I'm content to stand on her points as they
8 have been confirmed by the evidentiary record
9 today. I do want to address just a few points in
10 closing.

11 We recognize that the language of
12 Subsection -- or Subdivision B 3 doesn't answer
13 all the questions about the legal standard to
14 apply here. But just because Subdivision 3 is
15 relatively silent, that doesn't mean that the
16 General Assembly has left the Commission with no
17 guidance whatsoever.

18 First, Subdivision 1 sets Appalachian
19 Power on a clear upward trajectory with respect to
20 its efficiency targets. It's difficult to imagine
21 that the General Assembly envisioned the utility
22 that's proven its ability to exceed those initial
23 targets, and commendably so, would then be subject
24 to lower targets before end 2029, rocketing back
25 up to a standard of the greatest level of savings

1 achievable.

2 Now, of course, APCo's predictions about
3 diminishing returns, those may one day come true
4 and we might be in a hearing someday where we're
5 looking at a flatter trajectory for the growth of
6 efficiency targets. But the targets APCo proposes
7 in this case are less like a long arc that bends
8 towards maximum cost-effectiveness and more like a
9 roller-coaster ride that, as we heard from
10 Mr. Grevatt, is a poor way to deliver
11 energy-efficiency programs and measures.

12 Second, the Commission can't ignore the
13 role that the General Assembly envisioned for
14 efficiency targets. Unlike, for example, the RPS
15 requirements that are included in the same scheme,
16 the efficiency targets operate as a caret. They
17 don't represent the floor under which a utility is
18 punished with deficiency payments but a watermark
19 above which a utility should be rewarded, and
20 there's nothing in the statutory scheme that
21 suggests the General Assembly intended to use
22 ratepayer money to award mediocrity.

23 Third, while the statutory Commonwealth
24 Clean Energy policy in Section 45.2-1706.1 is not
25 on its own a key to resolving every legal dispute

1 before the Commission, it's an appropriate
2 resource to consult in cases like this where the
3 General Assembly has given the Commission little
4 in the way of expressed guidance.

5 As such, we urge the Commission to read
6 56-596.2 in light of the Commonwealth's
7 legislative policy to, quote, maximize
8 energy-efficiency programs and acknowledge the
9 environmental economic and health benefits they
10 deliver.

11 So given those legislative guideposts and
12 the evidentiary record in this case, we have real
13 doubts as to whether the Company's proposed
14 savings targets here are within even the
15 Commission's admittedly broad discretion in this
16 case.

17 APCo has opted not to submit a market
18 potential study and, while the law does not
19 explicitly require one at this phase, we question
20 the value of any savings targets that are
21 supported only by back-of-the-envelope analyses.

22 In any case, we think that a departure
23 from the upward trajectory outlined by the General
24 Assembly would require if not extraordinary
25 evidence at least some reviewable evidence, and we

1 thus agree with the other parties in asking the
2 Commission to reject the Company's proposed
3 1.6 gross targets.

4 Here again, the remedy for rejecting those
5 is not obvious. We see two results that we would
6 support. First, the Commission could decide that
7 it needs more evidence, that it wants to base its
8 targets off of an actual market potential study.
9 And if that's the case, we would ask that
10 Mr. Colton's recommendations on discount rate,
11 inclusion of at least some nonenergy benefits, and
12 on the untapped potential in building envelope
13 improvements be incorporated into the analysis.

14 But we would also support an order by the
15 Commission that synthesizes the evidence in this
16 case into legally defensible targets. And that
17 evidence would include Sierra Club Witness
18 Colton's recommendation to increase the Company's
19 proposed targets by a minimum of 75 percent, in
20 addition to increases in other sectors that he did
21 not address, such as commercial and industrial
22 customers.

23 We believe that would be consistent with
24 an acceptable band of proposals in this case which
25 we see starting at B 1 as the bare minimum,

1 extending up through Mr. Grevatt's targets, and
2 then with Mr. Collier's scenario C2 at the top of
3 that band.

4 We thank the Commission for the
5 opportunity to participate in this case, and thank
6 you for your attention, Your Honor.

7 THE HEARING EXAMINER: Thank you, sir.

8 MR. BARTLEY: Good afternoon, Your Honor.
9 Consumer Counsel appreciates the testimony and the
10 analyses done by Staff and by the respondents in
11 this case, particularly when it comes to the
12 ratepayer impacts that may result from setting
13 these targets.

14 The consensus with Staff and the
15 respondent seems to be that the Company's proposed
16 energy-efficiency savings targets are too low.
17 Consumer Counsel shares their concern that the
18 targets -- that targets, which are too low, may
19 allow the Company to collect significant bonuses
20 from ratepayers without seeing corresponding,
21 significant energy-efficiency achievements or
22 progress to benefit those ratepayers.

23 Consumer Counsel is pleased to hear
24 Company Witness Stafford testify that the Company
25 is also concerned about the cost to ratepayers of

1 bonuses.

2 Consumer Counsel would like to see the
3 Commission set targets which are sufficiently
4 challenging to make sure that the Company earns
5 any bonuses that it receives from ratepayers.

6 Thank you.

7 THE HEARING EXAMINER: Thank you.

8 MS. ADAMS: Thank you, Your Honor. May it
9 please the Commission, Mary Beth Adams on behalf
10 of the Commission Staff.

11 Just very briefly, Your Honor, Staff
12 stands by the positions it took in Mr. Collier's
13 testimony, and I'll just go over some very
14 high-level points.

15 Specifically, Staff opposes APCo's
16 proposed 1.6 percent net energy-efficiency savings
17 targets, which are below its projected savings on
18 a net basis through 2025 and the targets do not
19 increase over three calendar years. So for those
20 reasons, Staff opposes the Company's proposal.

21 Next, the record shows that for the
22 calendar year 2023, the Company may have achieved
23 approximately 2.41 percent in total net energy
24 savings based on the Company's 2019 retail sales.
25 And the record further shows that the Company

1 forecast that it could reach approximately
2 2.87 percent up to 3.56 percent in total net
3 energy savings by the end of 2025, and that all
4 depends on the number of and the savings
5 attributable to the large general service opt-out
6 customers. And there was some testimony on that
7 today as well.

8 And lastly, there's been much discussion
9 about Mr. Collier's testimony in the alternative
10 savings targets that he proposed for the
11 Commission's consideration. And, again, while
12 Staff takes no position on what constitutes
13 appropriate energy-efficiency savings targets
14 going forward, and isn't making a recommendation
15 on one of its alternatives, but just wanted to
16 offer broad consideration -- or broad options for
17 the Commission's consideration.

18 And I think that -- that's about it.
19 Thank you very much, Your Honor.

20 THE HEARING EXAMINER: All right. Thank
21 you.

22 MR. FLAVIN: Good afternoon, Your Honor.
23 And thank you again for the opportunity here to
24 provide this closing statement. I'm Andy Flavin,
25 again on behalf of APCo.

1 And I don't want to restate the entire
2 opening, so just wanted to highlight a few points
3 for Your Honor's consideration.

4 First, you know, the Company wants to
5 reiterate its position that in setting these
6 targets for the 2026 to 2028 period, the
7 Commission must consider cost-effectiveness and
8 feasibility of the proposed targets.

9 We reference the 2022 Appalachian Power
10 Company case that was decided by the Virginia
11 Supreme Court where the Court considered a
12 somewhat similar scenario where an application was
13 filed and then the statute governing that
14 application changed after it was filed and, you
15 know, the Court noted that there's a strong policy
16 disfavoring retroactive application of statutes.

17 I'll just note that in that case, if you
18 look at an example of where the Court identified
19 an example of a statute that clearly had some
20 retroactive application -- I apologize, I don't
21 have it in front of me -- but I believe there was
22 some language in the statute that says this is
23 applicable to applications filed, you know, on or
24 after a specific date. We don't have that here,
25 and there's nothing else that the Company would

241110107

1 certainly qualify as a manifest or explicit
2 intent --

3 THE HEARING EXAMINER: Doesn't that really
4 go to the question of when you would apply certain
5 legislation? And I think that's what we typically
6 deal with when we're thinking about the Washington
7 analysis. All right. Here's a new law, when will
8 we apply it.

9 To Mr. Jaffe's point, in this case, it
10 seems like it's not that question; it's a question
11 of whether you ever apply certain language.

12 Isn't that different legally?

13 MR. FLAVIN: Your Honor, I appreciate the
14 point that you're making there. You know, I think
15 our view with this -- and typically it's been that
16 the General Assembly will express a specific
17 indication to make a statute apply to an existing
18 program or application that may already be filed.
19 I appreciate the distinction Your Honor is making.
20 And, you know, I would just note here that we
21 don't believe that that is clear here. The
22 General Assembly could have included more specific
23 language.

24 THE HEARING EXAMINER: It certainly didn't
25 say it that way.

1 MR. FLAVIN: Right. So that's -- I
2 understand there may be some differing views on
3 that.

4 But moving beyond that, even if the
5 Commission were to disagree with the Company's
6 analysis, we do think that the Commission is
7 well-founded to consider cost-effectiveness and
8 feasibility of these proposed targets. And kind
9 of along those lines, I think we've heard a couple
10 folks talk about looking maybe to the, I guess
11 it's Subsection B 4 of the statute, 56-596.2,
12 where it talks about the setting of targets for
13 the 2029 through 2031 period.

14 There was a lot of talk about greatest
15 achievable or maximizing, and I just want to
16 clarify here that the statute says -- you know, it
17 references, for this 2029 to 2031 period, the
18 greatest level of energy savings that the
19 Commission finds is feasible and cost-effective,
20 pursuant to the Commission's cost-effectiveness
21 test regulation.

22 So it's not just greatest achievable.
23 There is that cost-effectiveness hook in there.
24 And I think, as Your Honor is certainly familiar,
25 for these programs that are -- for which APCo will

1 seek recovery under 56-585.1 -- I'm sorry -- yeah,
2 56-585.1 A 5 c, those programs, in order for the
3 Commission to grant recovery of those, they have
4 to be found to be in the public interest. And we
5 would submit that that public interest
6 consideration reflects a consideration of
7 cost-effectiveness and not just the maximum level
8 achievable.

9 THE HEARING EXAMINER: That's in the
10 statutory definition, too, right? 56-576, the
11 definition of in the public interest? Isn't that
12 largely about cost-effectiveness for most types of
13 programs?

14 MR. FLAVIN: Yes, Your Honor, I believe
15 so. I don't have it in front of me. I apologize.

16 THE HEARING EXAMINER: All right. Go
17 ahead. Sorry.

18 MR. FLAVIN: And I'll also note, too, we
19 heard references to the Commonwealth's Clean
20 Energy policy and, again, talking about maximizing
21 energy-efficiency savings. I believe that
22 language also references that it still has to be
23 in the public interest as well. So I just want to
24 make sure that that additional point gets included
25 in the record.

1 As the Company discussed, there's
2 significant uncertainty moving forward about the
3 potential savings that are cost-effective and
4 achievable. The Company has talked about changing
5 appliance standards, impacts to the Energy
6 Independence and Security Act, particularly on
7 potential lighting programs. The bipartisan
8 infrastructure law of the Inflation Reduction Act.

9 I think you heard Ms. Stafford mention
10 higher interest rates that are impacting some of
11 the commercial industrial customers' ability or
12 willingness to fund projects that might require
13 significant investment.

14 And I'd also note that, kind of along
15 those lines, there's been a lot of talk of the --
16 you know, the Company's projection showing that by
17 2025, it will achieve 2.87 percent savings
18 relative to 2019 sales.

19 And I think it's been covered, but again,
20 just want to reiterate that that is an incredibly
21 optimistic assumption assuming that everything
22 goes perfectly right and the Company can spend a
23 hundred percent of the money and get a hundred
24 percent of the savings that it identified.

25 I would note that, you know, the Company

1 did propose those programs, and for those programs
2 that have been approved, the Commission has found
3 them to be cost-effective in the public interest;
4 but ultimately, though, even once those programs
5 are approved and the Company can offer them, it
6 still requires customers to voluntarily decide to
7 participate in those programs. So the Company
8 can't just force them down people's throats.

9 I also want to just touch briefly on the
10 discussion about the Company's decision not to
11 perform a market potential study. And, you know,
12 Ms. Stafford identified the potential concerns
13 associated with the cost for one of those studies.
14 I think back in 2009, it was -- I apologize if I
15 have the number wrong. I believe she testified it
16 was 250- or \$260,000.

17 THE HEARING EXAMINER: 266.

18 MR. FLAVIN: 266.

19 And I would note, that was 15 years ago
20 when the Company had those -- had that cost
21 figure. But instead, what the Company decided to
22 do was to rely on its own experience and the
23 experience of its implementation contractors who
24 have and are implementing programs in the
25 Company's Virginia service territory to identify

1 the types of potential programs that would be --
2 might be successful for the Company and might be
3 cost-effective.

4 Another thing, Your Honor, I'd like to
5 note here, to the extent that any parties here
6 today are suggesting that the Commission must set
7 specific low-income targets, the Company disagrees
8 with that position. It's not entirely clear to me
9 if that's what's being advocated here, but I would
10 note that Virginia Code 56-596.2:2 requires a
11 Commission to set such targets for Dominion as a
12 Phase II utility but not APCo, so I just wanted to
13 make the Company's position clear on that.

14 And in conclusion, Your Honor, just want
15 to note that the Company's the only party that's
16 attempted to quantify the costs associated with
17 any types of increased savings targets. I know
18 we've heard some concerns about the Company's
19 estimates being back of the envelope, but, again,
20 I would just point out that these were cost
21 estimates prepared by the Company's implementation
22 contractors who have experience in actually
23 implementing these programs in the Company's
24 Virginia service territory. And, you know, those
25 costs that the Company identified to increase

1 beyond what it's already doing are not
2 insignificant.

3 The Company understands concerns raised by
4 Staff and some of the other parties with the
5 1.6 percent target that the Company initially
6 proposed. The Company does believe that that
7 proposal was based on reasonable concerns and
8 uncertainty regarding the future performance.
9 However, as I believe Ms. Stafford made clear, the
10 Company would not oppose Staff's Alternative 1,
11 which would include targets of 2.25 percent in
12 2026, 2.5 percent in 2027, and 2.75 percent in
13 2028.

14 And I just note that those are not below
15 the 2025 target, which is set at 2.0 percent, so
16 there would be some incremental growth there. But
17 ultimately, we just respectfully remind the
18 Commission to consider that, of course, any
19 additional incremental savings above and beyond
20 what's being proposed here, there are costs that
21 come along with that, and those costs ultimately
22 must be recovered from the Company's customers.

23 With that, I appreciate the opportunity
24 here to address you, Your Honor, and thank you
25 very much.

1 THE HEARING EXAMINER: Thank you,
2 Mr. Flavin.

3 All right. Is there anything further to
4 come before the Commission?

5 Hearing none, thank you all for your
6 participation.

7 I think we've got an expedited transcript.
8 Sorry, I should have muttered that before I
9 announced it. I'll get a report out as soon as I
10 can. But as I think most of you know, it's not
11 first in the queue, but it's -- I'm going to try
12 and get it out as soon as I can, and you'll
13 obviously have an opportunity to file comments on
14 it before it goes to the Commission.

15 All right. Commission is adjourned.
16 Thank you all.

17 (The proceedings adjourned at 4:20 p.m.)
18
19
20
21
22
23
24
25


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COURT REPORTER'S CERTIFICATE

I, Scott D. Gregg, Registered
Professional Reporter, certify that I recorded
verbatim by stenotype the proceedings in the
captioned cause before the HONORABLE D. MATHIAS
ROUSSY, JR., of the State Corporation Commission,
Richmond, Virginia, on the 4th day of October
2024.

I further certify that to the best of my
knowledge and belief, the foregoing transcript
constitutes a true and correct transcript of the
said proceedings.

Given under my hand this 5th day of
November, 2024, at Norfolk, Virginia.



Scott D. Gregg, RPR

Notary Public

Notary Registration No. 215323